

US EPA ARCHIVE DOCUMENT

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Transcript of Meeting of
Pesticide Program Dialogue Committee
Conference Center
2777 Crystal Drive
1 Potomac Yard South
Arlington, VA
July 10-11, 2013

ATTENDANCE LIST

1
2
3 Steven Bradbury, Ph.D Chair, Director, Office of
4 Pesticide Programs
5 Office of Chemical Safety and
6 Pollution Prevention
7 Margie Fehrenbach Designated Federal Officer
8 Office of Pesticide Programs
9
10 Jim Jones Acting Assistant Administrator
11 Office of Chemical Safety and
12 Pollution Prevention
13 Sarah Bittleman EPA Agricultural Counselor
14 Marty Monell Deputy Director
15 Office of Pesticide Programs
16 Richard Keigwin Director, Pesticide
17 Re-evaluation Division
18 Office of Pesticide Programs and
19 EPA
20 Helen Golde Deputy Director, Office of
21 Protected Resources, NMFS
22 Robert McNally Director, Biopesticides &
23 Pollution Prevention
24
25

ATTENDANCE LIST (cont'd)

1
2
3 Betsy Behl Director, Health & Ecological
4 Criteria Division
5 Office of Water
6 Rose Kyprianou EPA, Office of Pesticide
7 Programs, Field and External
8 Affairs Division
9 Jennifer McLain, Ph.D Deputy Director, Office of
10 Pesticide Programs
11 Antimicrobials Division
12 Mary Manibusan Director, Exposure Assessment
13 Coordination & Policy Division
14 Office of Science Coordination
15 and Policy
16 Lois Rossi Director, Office of Pesticide
17 Programs, EPA, Registration
18 Division
19 Jerry Baron Executive Director, IR-4
20 Princeton, NJ
21 Steven Coy National Honey Bee
22 Advisory Board
23 American Honey Producers
24 Association
25

ATTENDANCE LIST (cont'd)

1
2
3 Richard Bireley California Department of
4 Pesticide Regulations
5 Dave Epstein USDA, Office of Pest
6 Management Policy
7 Washington, DC
8 Cindy Baker-Smith Senior Vice President
9 American Vanguard Corporation
10 Director of Global
11 Regulatory Affairs
12 Tom Delaney Director of Government Affairs
13 Professional Landcare Network
14 Lilburn, GA
15 Douglas Hanks National Potato Council
16 St. Anthony, ID
17 Gabriele Ludwig Associate Director
18 Environmental Affairs
19 Almond Board of California
20 Modesto, CA
21 Scott Schertz President
22 Schertz Aerial Service, Inc.
23 Member of National Agricultural
24 Aviation Association
25 Hudson, IL

ATTENDANCE LIST (cont'd)

1
2
3 Andy Whittington MS Farm Bureau Federation
4 Brandon, MS
5 Dr. Mark Whalon Upper Midwest's
6 Horticultural Crops
7 East Lansing, MI
8 Michael Willett, Ph.D. Vice President for
9 Scientific Affairs
10 NW Horticultural Council
11 Minor Crop Farmer Alliance
12 Yakima, WA
13 Patricia Bishop Research Associate
14 People for the Ethical
15 Treatment of Animals
16 Norfolk, VA
17 Nichelle Harriott Beyond Pesticides
18 Washington, DC
19 Fawn Pattison Executive Director
20 Toxic Free North Carolina
21 Raleigh, NC
22 Cynthia Palmer Birds and Pesticides
23 Program Manager
24 American Bird Conservancy
25 Washington, DC

ATTENDANCE LIST (cont'd)

1
2
3 Mae Wu Program Attorney
4 Health & Environment Program
5 Natural Resources
6 Defense Council
7 Washington, DC
8 Valentin Sanchez Community Educator
9 Oregon Law Center's
10 Indigenous Farmworker Project
11 Virginia Ruiz Senior Attorney
12 Farmworker Justice
13 Washington, DC
14 Tom Green IPM Institute
15 Bloomington, IN
16 Dr. Matthew Keifer Senior Research Scientist
17 Professor of Occupational
18 and Environmental Medicine
19 National Farm Medicine Center
20 Marshfield Clinic
21 Marshfield, WI
22 Dr. James Roberts Associate Director, Pediatrics
23 Medical University of
24 South Carolina
25 Charleston, SC

ATTENDANCE LIST (cont'd)

1
2
3 Janet Hurley Extension Program Specialist
4 AgriLife Research and
5 Extension Center
6 Dallas, TX
7 Cheryl Cleveland, Ph.D Consumer Safety, BASF
8 Research Triangle Park, NC
9 Susan Ferenc, DVM/Ph.D Associate Director of
10 President, Council of
11 Producers & Distributors of
12 Agrotechnology
13 Washington, DC
14 Beth Law Assistant General Counsel]
15 and Vice President for
16 International Affairs
17 Consumer Specialty Products
18 Association
19 Washington, DC
20 Ray McAlliser Senior Director
21 Regulatory Policy
22 CropLife America
23 Washington, DC
24
25

ATTENDANCE LIST (cont'd)

1
2
3 Stephen Smith Manager, Product Registration
4 S.C. Johnson & Son, Inc.
5 Racine, WI
6 Allison Wisk Starmann Assistant General Counsel
7 American Chemistry Council
8 Washington, DC
9 Donnie Taylor Agricultural Retailers
10 Association
11 Washington, DC
12 Lizbeth Rea Director of Regulatory Affairs
13 Sipcam Agro USA, Inc.
14 Durham, DC
15 Jacob Vukich Manager
16 U.S. Registration and
17 Regulatory Affairs
18 DuPont Crop Protection
19 Newark, DE
20 Brian Rowe California Department of
21 Pesticide Regulation
22 Sacramento, CA
23 Wayne Buhler American Association of
24 Pesticide Safety Educators
25 Raleigh, NC

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ATTENDANCE LIST (cont'd)

Dave Tamayo	Environmental Specialist
	California Stormwater
	Quality Association
	Sacramento County Department
	of Water Resources
	Sacramento, CA
Eric Gjevre	Pesticide Program Manager
	Pesticide Enforcement
	Circuit Rider Program
	Coeur d'Alene Tribe
	Tribal Pesticide Program Council
	Plummer, ID
John Armstead	US EPA, Region III
	Philadelphia, PA
Scott Gordon	Armed Forces
	Pest Management Board
	Washington, DC
Sheryl Kunickis	Director
	Office of Pest Management
	Policy, USDA
	Washington, DC

ATTENDANCE LIST (cont'd)

1
2
3 Geoffrey Calvert, MD/MPH Captain, U.S. Public
4 Health Service
5 National Institute for
6 Occupational Safety and Health
7 Centers for Disease Control
8 and Prevention
9 Cincinnati, OH
10 Paul Souza Deputy Director for
11 Endangered Species
12 US Fish & Wildlife Service
13 Arlington, VA
14 Michael Hardy Deputy Director, Information
15 Technology and Resources, USDA
16 Office of Pesticide Programs
17 Jacqueline Campbell Chemical Review Manager
18 USDA, Office of Pesticide
19 Programs
20 Valentin Sanchez Oregon Law Center
21 Hillsboro, OR
22 Aimee Code Executive Director
23 Northwest Center for
24 Alternatives to Pesticides
25 Eugene, OR

ATTENDANCE LIST (cont'd)

1
2
3 Richard Gragg, Ph.D. Center for Environmental
4 Equity and Justice
5 Tallahassee, FL
6 Louis E.N. Jackai Ph.D. Operation Spring Plant, Inc.
7 Greensboro, NC
8 Robyn Gilden, Ph.D., RN Assistant Professor
9 UM School of Nursing
10 Baltimore, MD
11 Pieter Sheehan Director
12 Division of Environment Health
13 Fairfax County Health Department
14 Fairfax, VA
15 Michael Kashtock, Ph.D. Office of Plant and Dairy Foods
16 CFSAN, FDA
17 College Park, MD
18 Frank Ellis Branch Chief, Environmental
19 Stewardship Branch, OPP
20 Thomas Cook EPA, National Center
21 of Expertise
22 Dallas, TX
23 Erik Janus Monsanto Company
24 Kristie Sullivan Physicians' Committee For
25 Responsible Medicine

ATTENDANCE LIST (cont'd)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Bret Breton California Department of
Pesticide Regulations

P R O C E E D I N G S

DAY ONE - JULY 10, 2013

MR. BRADBURY: Good afternoon, everyone. If -- everybody could catch their seats, get their seat, we'll get started.

MS. FEHRENBACH: Would everybody please take your seats.

MR. JONES: Thank you.

MR. BRADBURY: Thanks, everyone. This is Steve Bradbury speaking, for those on the -- on the phone, Director of the Office of Pesticide Programs at EPA. I want to welcome all of you for joining us for the PPDC meeting, the public that's listening in and in the room here at Potomac Yard, as well as all the members of the -- of the panel.

As you know from the agenda and some of the work you've all been doing in work group meetings, earlier today we've got a full agenda and a lot of important issues to work through, so thanks in advance for all the hard work the members of the panel have been -- been putting in over the last six months and certainly this morning.

Before we get started into the meat of our agenda, I want to share some opening comments and welcoming comments. And we have two very important

1 guests at today's meeting and we're really honored to
2 have -- have them here, Jim Jones, who's the acting
3 Assistant Administrator for the Office of Chemical Safety
4 and Pollution Prevention, and Sarah Bittleman, who's the
5 Agriculture Advisor to the administrator --
6 administrator, also joining us today. Now I'll turn it
7 over to Jim and Sarah for some opening comments.

8 MR. JONES: Thank you, Steve --

9 MR. BRADBURY: Um-hum.

10 MR. JONES: -- and Sarah. Let me add my welcome
11 to everyone for coming here today. I know we have a
12 number of new members to this important advisory
13 committee. And to those of you who are new to the
14 Pesticide Program Dialogue Committee, a special welcome
15 to this effort.

16 For those of you who -- who don't know me, I've
17 got a pretty long history with this program. I had
18 Steve's job some time ago now, and so some of the faces
19 are -- are more -- there are more new faces to me than --
20 than there had been maybe five years ago, so if I don't
21 know you hopefully sometime over the -- the coming months
22 and years I will get to know more of you.

23 I have long thought that this was one of the
24 most effective committees that the -- the federal
25 government or the agency runs as it relates to getting

1 stakeholder feedback about the direction of a particular
2 program, in this case it's the pesticide's program
3 obviously. The -- the input that we get from each of you
4 in -- not only in this -- in this meeting itself, but in
5 the meetings that you participate in, in the various
6 subcommittees that you participate in, it is very
7 important and useful information for this organization as
8 we chart our course path, our -- our path forward on a
9 number of very difficult and complex issues.

10 I think one of the things that we learned a
11 little earlier in this dialogue committee was that
12 getting together a couple of times a year, given the
13 density of the topics, wasn't giving the topics justice
14 and that they were so complicated it required a little
15 more energy and effort. And I know many of you have --
16 have devoted many, many hours working through many of the
17 issues that are on today's agenda to help us better
18 understand the perspective of vast and diverse
19 stakeholders that are -- that are impacted by the
20 decisions that this -- that this organization makes, so
21 thank you for that.

22 I also often say that participatory government
23 is such an important part of what -- what it is about to
24 be in America, but I also understand how hard and how
25 costly it is to participate, because the -- the issues

1 are so complex often. And again, thank you for the time
2 and energy that each of you give to helping us do a
3 better job through your participation.

4 I did want to just touch on a couple of the
5 issues that I know are on the agenda just to -- to -- so
6 you understand the -- the -- the level of -- of priority
7 and importance they are to me in -- in my role as the
8 assistant -- acting assistant administrator under which
9 the pesticide program falls. Not to say that everything
10 else on this agenda isn't important, it is important, but
11 there are -- there are a couple of topics that are -- are
12 of particular importance to -- to me, some specific to
13 this program, some have actually a little broader scope
14 within -- within my organization.

15 Pollinator health, a huge priority to the
16 administrator -- the acting administrator. I expect that
17 when we have a new administrator hopefully in a week or
18 two, it's going to be a huge priority for her as well.
19 And it was a huge priority to -- to the former
20 administrator, and it is a very big priority of mine and
21 I know of Steves. It is something that we are very --
22 working very hard on and we are struggling with many of
23 you about how to get our arms around the issues affecting
24 pollinator health in the United States in the role that
25 pesticides play in that, and so I -- I'm very

1 appreciative that the PPDC spent as much time as it does
2 and actually has been for a number of years.

3 It is not as if this organization just figured
4 out last week, last month, last year that there were
5 important issues. I think it was over five years ago
6 that the PPDC began working on pollinator health issues,
7 so thank you for that, it's -- it's of critical
8 importance to the country and to -- to -- certainly to
9 this -- to this organization and I know to many of you.

10 The Endangered Species Act is something that has
11 -- we have struggled with mightily for many years, an
12 area where I think we are beginning to get a little bit
13 of traction. Glad to see our colleagues from the
14 services, as well as USDA are here who -- they have
15 routinely been members of this committee, but the -- the
16 issues associated with USDA I know are of critical
17 importance to them as well, so, again, you guys are
18 focusing on an area of great import to this organization,
19 EPA, as well as also chemical safety and pollution
20 prevention.

21 Computational toxicology, which I -- I just
22 wanted to give a -- a little bit of a -- a shout out to
23 all of you who have been working on that. Thanks to
24 Steve for his leadership in this arena, which I -- I
25 believe will -- in the future the people who succeed the

1 likes of us in these jobs will be very grateful that we
2 spent as much time, energy, and effort trying to figure
3 out how to take advantage of some of the new and emerging
4 science around computational toxicology.

5 What I -- what I say to -- to my team is that we
6 -- we want to take this as far as the science is going to
7 allow us to, and that -- that -- that distance seems to
8 be changing all the time. Fortunately it seems to be --
9 be getting further out, in that I think it will take us
10 farther than we thought even a year ago. But we will
11 only take it as far as the science allows us to, and
12 that's something that -- that we all firmly are committed
13 to here.

14 And we -- we understand the importance of doing
15 it not in -- in a room in Crystal City by ourselves, but
16 doing it out in the open. The only way to do that is
17 with -- with stakeholders, and so I'm -- for those of you
18 who have been able to participate in -- in that exercise
19 of huge importance, that stakeholders understand what it
20 is that we're doing and what it is that we're not doing,
21 and ultimately we're going to need to have enough buy-in
22 from the stakeholder community if we are really going to
23 fully avail ourselves of this emerging technology.

24 The -- the -- the end of the day the objective
25 is that we can be making better decisions that are better

1 for human health and the environment and that we're able
2 to do it more cheaply and more quickly. And I think if
3 we're able to achieve that, there -- there shouldn't be
4 too much people are not happy about with respect to the
5 -- the use of that science.

6 And lastly, and I -- I assume you guys will
7 spend a little bit of time on this, we are in an
8 incredibly difficult budget situation. For those of you
9 who around the table who are with state organizations,
10 you've got something up on -- on that and that you've
11 deal with incredibly difficult budget situations where
12 you've seen reductions in the range anywhere from 10, to
13 30, 40 percent. Unclear we're going to see reductions in
14 the high end of that range, but it is very clear to me
15 just -- and -- and this is with no -- nothing other than
16 I'm -- I'm watching the process.

17 I have no inside information, I am watching a
18 process that is -- anybody can be watching, I expect many
19 of you are. It doesn't seem likely that -- that congress
20 is going to be giving us more money in the future, I
21 would be shocked if we got the same amount of money in
22 the future. They figured out a way around the -- the --
23 the PRIA threshold that we had last year, and I figured
24 -- you only have to figure it out once and you can keep
25 doing it.

1 We are -- we are in a budget constraint
2 environment and we are going to need to figure out how to
3 get the job done here, which is a critical job for -- for
4 the people of this country. We're going to have to
5 figure out how to do that with -- with fewer resources
6 going forward, so I just -- hard to imagine that's not
7 somewhat in the -- in the back of the mind of most of the
8 people who are participating as actively as you are in
9 your government, but -- but useful just to make sure that
10 that was on the table.

11 So, again, you know, thanks very much for all of
12 the work that you have done and the work that you're --
13 you're planning on doing, it is hugely important to us in
14 -- in how -- us how we figure out how we're going to --
15 to go forward. And -- and in deference to -- to Steve,
16 I've -- I've made it a long practice to come, say hello,
17 and to leave, because this is the advice that -- that
18 Steve is getting in -- for his program, he keeps me very
19 well apprised of what he's doing.

20 But as someone who sat in that chair before, I
21 know how important it is to be able to get, without your
22 boss sitting there looking over your shoulder, the kind
23 of advice that you're all getting, so I -- I make it a
24 practice always to come and to -- to welcome all of you.
25 But I will be leaving you all to your good work in just a

1 -- in just a few minutes, so I -- I wanted to -- and you
2 know that that's -- and generally my practice is to sort
3 of give Steve the space to get his work done. There.

4 MS. BITTLEMAN: Thanks, Jim. So I'm Sarah
5 Bittleman, I'm the ag counselor to the -- to the
6 administrator. And -- and I've turned my phone off now
7 so I -- I won't be interrupted, just Jim, so I apologize
8 about that. I just wanted to take a few moments to say
9 hello to everyone here and to let you know how
10 appreciated your work is. I'm sure you hear that from
11 other folks, but I wanted you to hear it from me.

12 I'm relatively new in this position, only been
13 it for about four or five months, before that I spent a
14 bunch of years at USDA working for the Secretary Vilsack.
15 As the ag counselor to the administrator, I get to
16 interact with all of the program offices at EPA. And let
17 me assure you that the program offices that you guys are
18 dealing with through this FACA are some of the best that
19 we have, the work that you're doing is really important,
20 the input that you give is taken seriously.

21 I want to thank everybody for the time and
22 effort that they -- that they put into being truly
23 participatory in this process. A lot of the issues that
24 you will cover that Jim touched on are issues that I
25 actually am engaged in at various levels, that I was

1 engaged in actually at USDA, and that I'm still engaged
2 in at EPA. I am all about adding value to your process,
3 so as you guys move forward with these conversations it
4 is helpful to all of us at EPA to get your -- to get your
5 sage input on them.

6 I also, for -- for -- I just really wanted to --
7 to just say hello to everybody and to let you know that
8 my door is open to everybody at all times to discuss
9 agriculture and how it relates to EPA. I'm -- I'm just
10 over -- just across the river on the second floor of the
11 -- of the building and am very -- I meet with a lot of
12 stakeholders in agriculture and a lot of stakeholders in
13 the chemical industry, but I'm open to having
14 conversations about these subjects at any time. They're
15 really important, they're -- they're far-reaching, the
16 work that you do -- do here will have an effect for a
17 long time.

18 So, like I said, I just really wanted to express
19 my appreciation for all of the work that you're doing and
20 I know that -- that Steven and his offices all appreciate
21 it as well. That's it.

22 MR. BRADBURY: I thank both Sarah and Jim for --
23 for joining us to -- to kick off the meeting. I thought
24 what might be good, Jim, reflecting on some faces you've
25 seen and some are new, and for Sarah some of these faces

1 will be new, why don't we introduce ourselves and -- and
2 go around the -- go around the room, that should work out
3 well, I think, for Sarah and Jim's schedule, and maybe a
4 couple of seconds on the organization you're associated
5 with.

6 As we go around the room, Valentin Sanchez from
7 the Oregon Law Center should be on the phone, so he's
8 participating. And then Wayne Buhler from North Carolina
9 State's on vacation, but he told us if he gets a
10 connection in the Smokey Mountains he'll try to call in
11 as well. So I'll sort of introduce -- let those folks --
12 let you all know those folks are trying their best to --
13 to stay connected with us during the next couple of days.
14 So why don't we start with Marty.

15 MS. MONELL: Marty Monell.

16 MR. BRADBURY: Did you not hear me?

17 MR. ARMSTEAD: I'm John Armstead, EPA Region
18 III, we're the lead region for this program office.

19 MR. BRADBURY: And one -- hey, Jacob, just one
20 thing.

21 MR. VUKICH: Yes?

22 MR. BRADBURY: If you're -- if you're sitting in
23 for somebody, you're an alternate, if you could just make
24 that clear when you introduce yourself. Thanks.

25 MR. VUKICH: I'm Jake Vukich with DuPont Crop

1 Protection.

2 MR. TAYLOR: I'm Donnie Taylor with the Ag
3 Retailers Association.

4 MR. TAMAYO: Dave Tamayo, California Stormwater
5 Quality Association.

6 MR. SMITH: Steve Smith, SC Johnson.

7 MS. RUIZ: Virginia Ruiz, Farmworker Justice.

8 MR. SCHERTZ: Scott Schertz, Schertz Aerial
9 Service and the NAAA, National Agricultural Aviation
10 Association.

11 MR. ROBERTS: I'm Jimmy Roberts, I'm a
12 pediatrician with the Medical University of South
13 Carolina.

14 MS. PATTISON: Hello, I'm Fawn Pattison, Toxic
15 Free North Carolina.

16 MR. WHALON: Mark Whalon, Michigan State
17 University.

18 MR. WHITTINGTON: Andy Whittington, Mississippi
19 Farm Bureau Federation, replacing Ken Nye from the
20 Michigan Farm Bureau Federation.

21 MS. HURLEY: Janet Hurley, Texas A&M AgriLife
22 Extension, replacing Dawn Gouge as her proxy.

23 MR. DELANEY: Tom Delaney, Professional Landcare
24 Network, The National Lawn and Landscape Association.

25 MS. CLEVELAND: Cheryl Cleveland, BASF.

1 MR. BARON: Jerry Baron, IR-4 Project.

2 MS. BISHOP: Hi, I'm Pat Bishop with the People
3 for the Ethical Treatment of Animals and I'm replacing
4 Kristie Sullivan from PCRM.

5 MR. COY: Steven Coy, I'm a commercial bee
6 keeper and I represent the American Honey Producers
7 Association.

8 MS. LUDWIG: Gabriele Ludwig with the Almond
9 Board of California.

10 MR. ROWE: Brian Rowe with the Michigan
11 Department of Agriculture, standing in for Marylou
12 Verder-Carlos representing ABCO.

13 MS. STARMANN: I'm Allison Starmann with the
14 American Chemistry Council on behalf of our panel.

15 MR. GJEVRE: Eric Gjevre, Tribal Pesticide
16 Program Council.

17 MS. RAE: Liz Rae with Sipcam, I'm here
18 representing Biopesticide Industry Alliance.

19 MS. FERENC: Sue Ferenc for the Council
20 Producers and Distributors of Agrotechnology.

21 MR. HANKS: Douglas Hanks with National Potato
22 Counsel from Idaho.

23 MS. HARRIOTT: Nichelle Harriott with Beyond
24 Pesticides.

25 MR. KEIFER: Matthew Keifer from the National

1 Farm Medicine Center.

2 MS. LAW: Beth Law, Consumer -- Beth Law with
3 Consumer Specialty Products Association, also known as
4 CSPA.

5 MR. GREEN: Tom Green, IPM Institute, sitting in
6 for Marc Lame, Indiana University.

7 MS. PALMER: I'm Cynthia Palmer, American Bird
8 Conservancy.

9 MR. MCALLISTER: Ray McAllister with CropLife
10 America.

11 MR. WILLETT: Mike Willett, Northwest
12 Horticultural Council and the Minor Crop Farmer Alliance.

13 MS. WU: Mae Wu with NRDC, Natural Resources
14 Defense Council.

15 MR. GORDON: Scott Gordon from the Armed Forces
16 Pest Management Board sitting in for the director,
17 Captain Mark Beavers.

18 MR. CALVERT: Geoff Calvert, I'm a physician
19 with the Centers for Disease Control and Prevention.

20 MR. SOUZA: I'm Paul Souza with the U.S. Fish
21 and Wildlife Service.

22 MS. KUNICKIS: I'm Sheryl Kunickis, I'm the
23 Director of the Office of Pest Management Policy at USDA.

24 MR. BRADBURY: So thanks again, Sarah and Jim.
25 And -- and welcome everyone on the panel, as well as

1 participants for public listening in here at Potomac
2 Yards and on the phone. For folks on the phone, just
3 make sure your phone is muted. Sometimes over the years
4 we've heard some interesting conversations on the -- on
5 the phone and sometimes they're kind of fun to listen to,
6 but generally speaking it's -- it's best to keep that
7 phone muted. If you are interested in -- in public --
8 participating in the public-comment period, we can
9 certainly do that by phone. And by getting the word in,
10 we can -- we can certainly make that happen.

11 So I'd like to just spend maybe a -- a few
12 minutes, just sort of an overview of -- of the committee
13 and what it's all about, given that this year we have
14 some new members on -- on the panel, and then maybe just
15 spend a few minutes going through the agenda and just
16 hitting some of the -- some of the highlights that are --
17 that are coming up.

18 Both Jim and Sarah have indicated the -- the
19 input from -- from stakeholders is really important to
20 the business of the agency. In the pesticide program and
21 across the agency, I can't think of too many simple
22 problems that have simple solutions. But those problems
23 are solvable and there are solutions to be gained and to
24 move forward environmental protection, human-health
25 protection, and the other components of what we have to

1 take on, but reaching those decisions and having
2 sustainable decisions are built upon input and bringing
3 forth different perspectives and viewpoints to the -- to
4 the kind of solutions that need to be brought to bear.

5 And this federal advisory committee is, I think,
6 a very good example of how people from all sorts of
7 different backgrounds, and perspectives, and -- and ideas
8 come together and have historically been able to help us
9 figure things out. And a federal advisory committee is
10 just that, a body by which we can have some structure, an
11 appropriate process to get that information in and to
12 have dialogue, to have discussions so that we can explore
13 different approaches, different -- different ways of
14 trying to -- to -- to get things done, so it's -- it's
15 critical to -- to the work that we do in the pesticide
16 program.

17 We have another federal advisory committee, the
18 Scientific Advisory Panel, which helps us think through
19 the scientific tools we use in the -- in our risk
20 assessments and form our risk management decisions. But
21 as we move into policy issues, and sort of the risk-
22 management perspectives, and the interface of the science
23 with how we move forward, like in the toxicology 21
24 century arena, this FACA is critical to helping to bring
25 it all together to help think through our solution.

1 And by having a -- a FACA like the PPDC, it's a
2 way to make sure we're trying as best we can to get
3 everybody's input. And everybody's input is valuable,
4 everybody's input's valuable. And what makes it valuable
5 to you as the public and us as the government trying to
6 serve everyone, is by having that robust discussion and
7 making sure all the ideas are coming forth. Ideas that
8 aren't expressed, are ideas that could be untapped
9 knowledge and untapped insight, and so having this kind
10 of conversation is critical.

11 So I think alone all these problems are pretty
12 darn challenging, and I -- at least I know I can't even
13 begin to solve some of them by myself or with my
14 colleagues. So working with all of you, I think we have
15 a long history of working through issues and coming up
16 with practical solutions. And again, it's hard, you
17 know, and so we try to reach consensus. And if we do,
18 that's really good, that's cool. And sometimes we won't,
19 that's okay too.

20 What's really important for the agency is
21 understanding what the various issues are, what are the
22 different options, what are the strengths and limitations
23 of different approaches, because eventually the -- the
24 buck does stop with us and we have to make decisions and
25 we have to move forward, and we have to move forward as

1 best we can with the intelligence and the insight that
2 you all -- you all bring to bear.

3 And so for some of you who have been on the
4 panel for a while you realize sometimes we reach a
5 certain point and a certain topic, and we go, this is
6 good, realize you didn't reach consensus on everything,
7 but this gave us a lot of good information. We
8 understand the insights and the -- and issues behind the
9 different proposals, and that helped us move forward.
10 Sometimes we do reach consensus on certain components,
11 and that's excellent, that's great too. We'll think
12 about it, and then try to figure out how we move forward
13 with -- with our approach.

14 So for those of you that are new, you start to
15 kind of pick up sort of how the dynamics work. One of
16 the things that's -- that's become, I think, sort of the
17 modus operandi -- it is the modus operandi for the -- for
18 this group, is all the work that happens in between our
19 two meetings per year. We have five different work
20 groups, and these work groups get created over time based
21 on issues that are challenging and have some -- some life
22 to them, they're -- they're not the kind of problems you
23 probably solve overnight and they've got some staying
24 power.

25 And so we use the work groups to help really

1 work through issues to -- to come up with options, and
2 then to report back to the main committee twice a year
3 with recommendations, if -- if things are ripe enough, so
4 then all of the panel can then weigh in on
5 recommendations or options that the different work groups
6 are -- are putting forward. We've found over the years
7 that that's the most effective way to ensure that we're
8 making decisions, that we're making progress.

9 It's really hard with a group of about 50 people
10 to -- to get into the details of some of the topics we
11 need -- we need to talk about, so -- but there's --
12 saying at the opening I really want to thank everybody
13 who's been on the PPDC for quite some time and all the
14 effort you've been putting in various work groups. New
15 members, you'll start to get a -- decide which groups you
16 want to be involved in and -- and that's great.

17 And another aspect of the process is that people
18 that aren't standing members on the PPDC can be members
19 of -- of work groups. And Margie Fehrenbach, our DFO,
20 makes sure everything's done right, but it's -- it's very
21 doable. And, for example, the pollinator protection work
22 group I think -- I know it has more people than sit on
23 the PPDC. I think it's up to, like, 75 people right now
24 on the pollinator protection work group, and that's
25 great. Rick Keigwin and Don Brady I think sometimes get

1 grayer hair trying to figure out how to advantage all 75
2 folks, but that's okay because it means we're getting a
3 lot of people engaged and a lot of people talking and
4 working through solutions.

5 So, again, thanks for joining the committee, if
6 you're just joining, and thanks for all of you who have
7 been on for -- for a number of years. What I would like
8 to do now is just spend a little time and just kind of
9 touch on -- on the upcoming -- upcoming events for the
10 next couple of days, and -- and then we'll get -- we'll
11 get on with it.

12 The -- the first session is going to be chaired
13 by Marty Monell. Marty's a -- one of the deputy office
14 directors for the pesticide program, and among her many
15 facets of her portfolio is helping us through the budget
16 and aspects of budget implementation and forecasting,
17 forecasting becoming quite an art and science lately.

18 Marty, among other things, also oversees the
19 implementation of PRIA, which is the Pesticide
20 Registration Improvement Act, and that's the act that
21 provides some funds from the registrants that with
22 appropriate funds helps make some of the business of --
23 of OPP get done and the basis of a -- of a coalition of
24 -- of all of you that are instrumental in -- in -- in the
25 PRIA process. So Marty will spend some time giving --

1 giving us all an update on -- on some of those issues,
2 which I know are typically topics of interest and as
3 Jim's highlighted it a challenging area lately.

4 After that, Rick Keigwin, and Paul Souza, and
5 Sheryl Kunickis, and Helen Golde from National Marine
6 Fishery Service will give an update on where were in --
7 in implementation of the Endangered Species Act, touch on
8 the recently-published National Academy of Sciences'
9 report on how to move the science forward, and -- and
10 some other aspects of -- of the work we're undertaking as
11 part of the federal family in -- in moving forward and
12 getting a -- a sense of some of the coming events playing
13 out with the NAS report.

14 After the break, Bob McNally will chair a
15 session with -- with input from -- from the IPM work
16 group to give you an update on some of the activities
17 going on with the work group, as well as some updates
18 from within EPA in terms of how we're structuring and
19 managing our efforts in the school IPM area. Many of you
20 know Bob, and know Bob from his most recent pass as the
21 director of field in External Affairs' Division.

22 And within the last couple of weeks, Bob has now
23 become the director of the Biopesticides and Pollution
24 Prevent Division, and that's because Keith Matthews
25 decided to maintain his law profession and -- and

1 continue his law profession in -- in private practice in
2 -- in the D.C. area. So we wish Keith all the best and
3 hope we don't see him on that side of the table in terms
4 of legal -- legal issues, but we wish him well, and
5 looking forward to Bob taking on this -- this new
6 responsibility. We'll be in the process of -- of filling
7 that position, and right now Jay Ellenberger, who many of
8 you know, the Associate Division Director, will be the
9 acting division director for this field in External
10 Affairs' Division.

11 The last session today will be chaired by Rick
12 Keigwin and Betsy Behl, who's division director in -- in
13 the Office of Water. And Rick and Betsy will give you an
14 update on a joint effort between our offices in -- in
15 ways that we're trying to make it very easy for people to
16 get information -- toxicology information about
17 pesticides that are sometimes found in water supplies,
18 and we'll give you an update on where we are in getting
19 that information out and some of the approaches we're
20 using to get that information disseminated so it's easy
21 to -- to get at, then we'll have a public-comment period
22 at the end of the afternoon.

23 And starting tomorrow morning, we'll -- we'll
24 pick it up with Jennifer McLain, who is chairing our --
25 our TOX-21 work group. As you know, she used to co-chair

1 it with Vicki Dellarco, who is the senior science advisor
2 to the pesticide program. And Vicki has retired over the
3 last -- end of June was her -- her last week, so we also
4 wish Vicki the best as she goes forward, tells me she's
5 still going to stay involved in science. As you all
6 know, she was an internationally-recognized expert in
7 risk assessment and human toxicology, and I'm sure she'll
8 still be busy and we'll probably see her name showing up
9 in other activities that many of us interface with, so we
10 wish her the best.

11 And Jennifer is working with lots of colleagues
12 in the program and will continue to move forward with the
13 TOX-21 effort. So tomorrow we'll hear a report out of
14 the workshop we had yesterday, as well as an update on
15 some other activities that have been ongoing in that --
16 in that group.

17 Following that session, Mary Manibusan, who's
18 over in the Office of Science Coordination and Policy and
19 heads up the endocrine disruptor screening program, will
20 provide an update on where the program is in terms of
21 scientific peer review they've been playing out this
22 year, as well as some other the other aspects of the
23 program implementation.

24 Marty Monell will then lead a session that she
25 -- with the work group she chairs on comparative safety

1 statements, and Marty indicated you guys had a really
2 great -- those on the work group had a really great
3 meeting this morning, so I'm looking forward to hearing
4 -- hearing the efforts that might have been playing out
5 in that group.

6 Then we'll have a session that will deal with
7 the pollinator protection work group, and I'm hoping to
8 hear some recommendations from that work group in moving
9 forward in several areas. That work group is very large
10 and it has several subcomponents, including a group
11 looking at labeling, a group looking at best management
12 practices, a group looking at communication and training,
13 and a group that's looking at enforcement issues. And
14 we'll be hearing outputs from all the subcommittees and,
15 as I understand, getting some recommendations of steps
16 going forward.

17 Sheryl Kunickis will -- will join Rick and Lois
18 Rossi in chairing that session, and -- and we're -- we're
19 going to kick that session off with Sheryl providing an
20 overview of USDA's activities in -- in pollinator health.
21 USDA is the component of the federal government that has
22 overall leadership and responsibility for -- for moving
23 the federal government forward in -- in pollinator
24 protection, so it's got to be good for Sheryl to give you
25 an update on the activities across the federal

1 government, and then we can zoom in on -- on the efforts
2 that we're undertaking through the PPDC.

3 After that session, Lois Rossi will chair the --
4 the presentation from the work group dealing with public-
5 health pesticides, and -- and she's associated with
6 public health, and we'll get an update from that group.
7 And they'll be sprinkled in, these various work groups,
8 various recommendations for moving forward, as well as
9 some updates of long-going activities.

10 We'll then spend a little time at the end of the
11 session tomorrow reviewing some of the action items or
12 the homework that we'll have come out from the reports
13 from the various work groups and try to crystalize some
14 of the activities that will be happening in between now
15 and the next meeting within the work groups; we'll also
16 see if there's some specific topics that we'd -- we'd want
17 to address that may not naturally flow out of the
18 specific work groups and get those up on the agenda; and
19 we'll also take a look at calendars and pick a time
20 likely in November -- a week in November, so we could
21 start checking ahead when we'll have the next meeting,
22 the fall meeting. We need to try to schedule those
23 early, so we can reserve the room and -- and take care of
24 all of the other logistics it takes to put a -- put a
25 room together.

1 So before I turn it over to Marty and move on to
2 the first session, I -- I want to take two seconds and
3 thank Margie Fehrenbach, who's the designated federal
4 official. And there's Margie, if some of you haven't met
5 her. Margie has put in enormous hours in getting ready
6 for this meeting and the process it takes to go through
7 and seat new members of -- of the committee. It's been
8 an unbelievably challenging effort, but she's fantastic.
9 I don't think there's a better person in the entire
10 agency from a number of perspectives than Margie, and we
11 can't thank her enough for effort. So thanks, Margie.
12 All right. And thanks --

13 MR. JONES: Have a good day.

14 MR. BRADBURY: -- Jim and Sarah.

15 MR. JONES: Two days.

16 MR. BRADBURY: Yeah.

17 MS. BITTLEMAN: Yeah.

18 MR. BRADBURY: So with that, I'll turn it over
19 to Marty and we'll take on our first session of the
20 afternoon.

21 MS. MONELL: Okay. Thanks, Steve. What I
22 handed out, this is called, "Other duties as assigned,"
23 is a -- a budget summary, a couple of sheets. And I
24 didn't want to get into a great deal of -- of detail,
25 because federal government budgeting is really

1 complicated and you can -- you can make numbers say a lot
2 of things, so I just wanted to show you the facts at a
3 very high level and show the -- the first page actually
4 depicts three years a pesticide program budget.

5 And the way -- the way the pesticide program
6 budget is -- is articulated by the agency is it includes
7 things such as the regions, the work that the regions do
8 to support the pesticide program, the STAG grants that go
9 to the state supporting the pesticide program, the AA's
10 office for the support that it provides to -- to the
11 pesticide program, as well as the amounts that are
12 actually given to the program office to run the
13 operation.

14 So you'll see that from '11 to '12 we -- we
15 endured a \$9 million cut -- less than \$9 million cut, and
16 then in '13 we endured another about \$7 million cut, so
17 that's very significant cuts over the past two years.
18 For '13, as Jim noted, congress also eliminated the
19 minimum appropriation required under PRIA so that at
20 least we're still able to collect the fee, but the -- the
21 amount of appropriated dollars is significantly less than
22 what the PRIA coalition envisioned when they passed PRIA.

23 So how do we absorb all of these cuts? In 2012
24 we consolidated contracts, we reduced all of our
25 discretionary work, took a -- a pretty-significant cut,

1 IPM in schools, for instance. The grant program that we
2 initiated in 2011 didn't actually get funded and out the
3 door until 2012, so we were not able to do any grants
4 with '12 money. The -- we -- we had to greatly reduce
5 the amount of money that we -- we give to the National
6 Pesticide Incident Center -- Information Center, NPIC, at
7 Oregon State. We -- we really devoted a lot of time to
8 figure out how to do our work more efficiently, yet not
9 compromise the integrity of the science and the risk
10 management work.

11 We -- the -- the contract support we -- as I
12 mentioned earlier, we -- we collapsed a lot of the
13 contracts and -- and focused it into one or two, but a
14 lot of the work that had previously been done by
15 contractors was now being done by staff here at EPA. And
16 then we -- we reduced greatly the amount of hiring we
17 did, due to -- due to retirements or -- or folks moving
18 on, we did a very limited amount of backfill hiring in
19 2012.

20 Now we come to 2013 where the cut is even more
21 significant, because it's on top of the '12 and it
22 includes the -- the sequesterable amount that congress
23 imposed in March. And by the time we got the amount in
24 early April, it was -- it was -- it was very significant.
25 We've been operating under a continuing resolution, which

1 was at the higher level of 2012, so we had to absorb that
2 much more of a cut in a shorter period of time.

3 Virtually no hiring has -- has gone forward,
4 obviously we had to endure, as an agency, furloughs. And
5 because overall the agency cut due to sequestration was
6 so large, that we couldn't -- the agency could not meet
7 in -- it's payroll in many areas where they didn't have
8 the discretion to use non-payroll money to cover payroll
9 needs, so there -- there was virtually no hiring, we had
10 this -- these furloughs that have been phased in.

11 So the first phase was from the end of April
12 through the end of June, that was 32 hours, one day of
13 which was designed, that was the Friday before Memorial
14 Day. And -- and then after a short period of
15 reassessment, and moving, shifting some funds around, we
16 are facing 23 more hours to be taken between the 4th of
17 July holiday, that Friday was the mandatory furlough day,
18 and the end of the fiscal year, the day before Labor Day
19 also being another mandatory furlough day for us.

20 So all in all, it's 55 hours total furlough as a
21 result of sequestration. It could have been a lot worse,
22 you -- those of you from states know how bad it could
23 have been. We fortunately didn't have to lay people off,
24 so that's the bright side. But the not-so-bright side is
25 that we weren't able to -- by and large, the work that we

1 do in the pesticide regulatory process is staff driven,
2 it's -- it's a federal program. It's -- it is -- the --
3 the kinds of reviews and decisions that we make, we can't
4 have contractors doing the work, we can't have anybody
5 else doing the work, other than those that are authorized
6 by our statute, so grants have virtually been eliminated.

7 We were able to scrape together a few funds, so
8 that we will have a -- a 2013 IPM in schools grant
9 program. Not -- certainly not what we have done in the
10 past, but enough to keep the progress moving forward. A
11 larger portion of PRIA funds will now have to be utilized
12 for maintaining our registration program, so by that I
13 mean historically the -- the fees that we have collected
14 have covered between 25, 30 percent of the cost of
15 running our program, we're anticipating it will be closer
16 to 40 percent this year. And obviously every year that
17 we see further decreases, we'll be relying more and more
18 on fees to run the program.

19 If the minimum appropriation is not addressed,
20 as it was for 2013, and we're not able to collect fees,
21 well, we'll -- we'll be in a real pickle. But I'm
22 assuming, as Jim said, if congress did it once and they
23 figured out how -- how to reduce the appropriation and
24 also allow us to collect the fees, it's entirely likely
25 that they will do it again, but, again, we don't read the

1 tea leaves.

2 The -- I talked about the furloughs. Some of
3 the additional impact will be the product re-registration
4 that we've been on a -- on a schedule to complete, 20,000
5 products over a period of time. And we're -- we really
6 had a goal of completing that whole process by the end of
7 2014, that will be slowed down somewhat. Our -- our
8 emphasis will be on those products, the labels that
9 really need mitigation on them sooner rather than later,
10 and that will be our focus going forward.

11 The -- we've had a minimal investment in IT. As
12 many of you are aware, we -- our tracking system, if you
13 will, is called, "OPEN," and it is literally held
14 together with Band Aids, and Super Glue, and duct tape.
15 It is -- it is -- it's a legacy system, it's -- it's
16 antiquated, and -- and very difficult to operate, and --
17 anyway, so -- but it is all that we have, basically.

18 And then we've -- we've developed another system
19 over the years called, "PRISM," which helps us with our
20 -- the tracking of the registration review work,
21 endangered-species work, some of the -- the DCIs
22 associated with -- with the registration review work.
23 And then this Documentum, which is the is library that
24 contains all the studies and all of the other information
25 -- massive amounts of information that we collect as a

1 program, so there's basic maintenance and operation of
2 those three large components.

3 So we -- that's just a given, we have to support
4 that to -- to keep functioning, we all recognize that
5 that is not the desired state to be. That we really want
6 real-time information available to those that need it,
7 both internal to the program and external, you know, for
8 transparency purposes, so we did invest. We invested a
9 quarter-of-a-million dollars in 2012 in an -- what we
10 call an alternatives' analysis.

11 In other words, we hired an expert to come in,
12 take a look at our system, take a look at our business
13 process, such as we were able to articulate it at the
14 time, and -- and come up with some suggestions for us to
15 move forward, so that whenever we are able to invest the
16 money in systems that we'll be poised to move. And --
17 and if we're able, we'll take some incremental steps
18 towards that ultimate vision as we go forward, but it
19 really is -- is -- we've -- we've decided it's foolhardy
20 to just keep Band Aiding what we have, we have to look to
21 the future and do what we can to plan for something a
22 little bit more appropriate for our needs.

23 Now, if you want to look at the fee charts,
24 those are the next two pages, they basically take the
25 same three years and project. For the FIFRA fees we have

1 a set amount that we're authorized to collect under --
2 under PRIA, and that -- what we do is we calculate and --
3 and we have one person who has an algorithm that is --
4 he's able to figure out what the per-product fee needs to
5 be in order to calculate this amount of money, taking
6 into account the business -- small and large business
7 caps, the ultra-small business caps, and so forth and so
8 on. And so we're pretty close, we are -- we're about at
9 \$27 million now collections for maintenance fees for this
10 year.

11 I will tell you that OMB determined last summer
12 that these fee accounts are susceptible to sequestration,
13 so they've taken five percent of our \$27.8 million and
14 banked it for us due to sequestration. It doesn't go to
15 the treasury, like the rest of the sequestered dollars,
16 it will eventually come back to the pesticide program
17 once the sequestration has been lifted, if and when that
18 happens.

19 On the PRIA side you'll see that -- you'll see
20 what our collections were actually in '11 and '12. And
21 '12 was -- was high over the last seven years of PRIA,
22 and I think that that, in large part, reflects the
23 uncertainty related to PRIA-3. We -- as you know it was
24 up for reauthorization last fall and had to be
25 reauthorized by October 1st, so a lot of folks got their

1 applications in beforehand so that they would at least
2 get the time frames in the event that PRIA-3 did not
3 pass, so that's -- I think that explains the anomaly in
4 the -- 2012.

5 Thus far in 2013, \$12 million again, OMB has
6 taken five percent of that off the top. We never get
7 anything directly, by the way. Although it all
8 eventually sifts down to us, it goes into the agency, and
9 then it goes OMB, and then it comes back to the agency,
10 and then it comes down to us, so it -- your dollar spent
11 eventually gets to us, but it goes a circuitous route.

12 We -- we have quarterly meetings with the PRIA
13 coalition to sort of keep them apprised of how things are
14 going under both the -- the PRIA, the registration
15 actions as well as the registration review and set
16 asides. So we had 1,112 applications for the first six
17 months of this -- this fiscal year, that's very high,
18 we've never received that many. We suspect it's in due
19 -- due in large part to the gold-seal letters now being a
20 PRIA-fee category. Likewise, the amount of decisions
21 that were completed in those six months, higher than in
22 the past, but probably reflect the gold-seal-letter
23 completion.

24 Due-date extensions, we're at about 23 percent
25 overall, that's -- that's on the low side. I would have

1 predicted it would be much higher, given the furloughs
2 and -- and budget constraints. I suspect what's going to
3 happen though is that that reflected things that were in
4 the pipeline that we're able to complete on time or
5 renegotiate, you know, with -- by agreement. Eventually
6 we will get to the point where that rate increases, how
7 much we don't know, but that -- the -- the numbers just
8 don't -- the numbers, in terms of resources, just don't
9 support our ability to maintain the current workload.

10 Worker protection set asides, applicator
11 training, and partnership grants, those are set asides
12 out of a -- the PRIA amounts, the registration fees that
13 we collect. Worker protection activities, fully funded
14 already. The certification and training set asides,
15 \$500,000 that the PRIA coalition set aside with the
16 intent that we would maintain our arrangement with the
17 extension services through USDA to continue to provide
18 applicator training.

19 USDA informed us that they no longer wanted to
20 be part of that arrangement, and that was fine. We -- we
21 got the effected stakeholders together with a plan, and
22 so NASAC, the National Association of State Ag
23 Commissioner, is that right? Close enough, stepped up
24 and -- and they are going to administer the -- the -- the
25 program to -- to the extension services, so that the

1 training will continue onward and we -- it will be
2 funded, just not -- not through the USDA mechanism.

3 If you recall, if you've been on this committee
4 for a while, you -- you will recall that we -- we had
5 problems with the USDA, their very arcane budgeting and
6 financing operation. In any event, that -- that was the
7 arrangement, that's the arrangement now. So the money is
8 -- is out there and will be received by extension
9 services, so there shouldn't be any -- we shouldn't skip
10 a beat in terms of the training program.

11 And then finally the partnership grants set
12 aside we used this year to fund the INPEC, the -- the
13 Information Collection Service that we provide, the
14 incident reporting service. And then FIFRA fees new this
15 year, we have it set aside out of maintenance fees, and
16 that's \$800,000 for the five years of PRIA-3. And those
17 are specifically devoted to IT initiative that -- that
18 serve our interests, but also the interests of the PRIA
19 coalition.

20 So one -- one is the -- the tracking of
21 registration action, so that's sort of UPS-type system I
22 think is envisioned, so you could go online and check on
23 the status of your application at any given moment.
24 Right now this year we'll be issuing e-mails to people
25 that give us e-mails in -- with their applications, we'll

1 be issuing e-mails at each of these certain points in the
2 -- in the life of an application for a pesticide action.

3 And then we have the tracking for conditional
4 registrations, this will be to -- to ultimately enable a
5 web-based application where you would be able to go in
6 and see the conditional registrations that have been
7 approved by the agency, what the conditions were that
8 were imposed, when those conditions were due to be
9 satisfied, if they were satisfied, if they were changed
10 to decisions, and then this would be a database that
11 could be manipulated to pull reports and so forth. For
12 starters, it's going to be a spreadsheet that we'll put
13 -- put on the -- on the web, simply because we -- we --
14 we haven't had the -- the -- the people resources to put
15 together the final web -- web approach that we want to
16 us.

17 Electronic CSF, this is something that we're
18 working on in partnership with Canada, our PMRA up there,
19 and this will enable a registrant to submit a CSF to us
20 or state submit a CSF to us electronically, and it can be
21 -- it can be sent to either PMRA, or us, or both, and it
22 will be one format, one form, and applicable to both
23 countries.

24 Electronic labeling, this includes not only the
25 ability for you to send us a label electronically via a

1 media source and us to review it via a media source, it
2 also includes work on structured labeling. This isn't
3 web-based labeling, this is a structured-labeling kind of
4 template that we could use to capture most of the
5 information that is necessary on a label so that it just
6 reduces the -- the number of errors and improves our
7 ability to read and -- and compare the labels.

8 And then finally we have a set aside to enhance
9 our endangered species' database. This is -- this is an
10 effort that we began a few years, putting the knowledge
11 that we gained from the services and as well as our own
12 literature searches and so forth, putting it into one
13 database that will ultimately be accessible and not -- we
14 -- we don't have to reinvent the wheel every time the
15 same species, or the same location, or the same chemical
16 comes up, we'll be able to use information that we have
17 previously garnered for -- for multiple purposes, so
18 we're -- that is an active work and constantly being
19 upgraded and updated.

20 And there seems to be some interest at the OMB
21 level to -- to try to do something with all of the
22 interested agencies to develop one large database that
23 will be accessible to all federal partners in these
24 efforts, so more to come on that, but we are moving
25 forward with everything. And I guess maybe I'll take a

1 few questions, do you have any?

2 MR. BRADBURY: And just for new folks, well, how
3 we manage that is I get to be the arbitrator of who gets
4 to talk. Put up -- if you, like Jacob did, put up your
5 -- your name tag and then I'll try to keep track of the
6 order as best we can. And then you all know I also watch
7 the clock, so -- and I trust all of you to not repeat
8 things, if possible. And -- and we have always, over the
9 years, worked it out pretty well, so we stay on task and
10 -- and on topic. So, Jacob?

11 MR. VUKICH: Thanks, Marty, two quick questions.
12 Do you have a feel for what the fiscal year 2014
13 maintenance fee is going to be, and number two, on the
14 PRIA fee collection, you've got a year to date, I'm just
15 wondering if there's -- does the average track kind of
16 monthly or are there peaks and valleys, and as such if
17 you could project fore year end?

18 MS. MONELL: Well, it's -- it's very difficult.
19 This year coming up in October 1st is going to be a five-
20 percent bump-up in the fees across the board, so it's
21 entirely likely that September we'll see a lot more
22 applications. Now, whether that translates to a million
23 dollars or \$50,000, it's impossible to predict, but that
24 usually happens before we have a bump-up. Other than
25 that, the summary's usually pretty quiet, so I don't

1 expect to, as I say, collect a lot more in PRIA fees.

2 MR. VUKICH: How -- how about maintenance fees
3 for 2014?

4 MS. MONELL: Maintenance fees, I can't tell you
5 what the per-product fee is going to be at this point, we
6 -- we have to wait until we get to the -- sort of the
7 end, if you will. We're in the process now, and
8 hopefully none of you in this room are in that situation,
9 of issuing letters of cancellation because of nonpayment.
10 We've given -- those that have not yet paid their dues,
11 their fees, we've given them a couple of opportunities to
12 reconsider or to remind them of their obligations, and
13 then ultimately we have a legal responsibility to cancel
14 them for nonpayment.

15 Once we have that finalized, then we'll be able
16 to predict how many products -- well, a number will be
17 put into his algorithms as to the -- the number of
18 products he anticipates will need to be addressed and
19 then he'll figure out what -- the per-product. It won't
20 be a -- a large difference from what is in place right
21 now.

22 MR. VUKICH: Okay.

23 MR. BRADBURY: Eric?

24 MR. GJEVRE: Just quickly, and I can go offline
25 with it too for the question, but you mentioned legacy

1 systems, you mentioned IT, and I'm just wondering if
2 there's -- if there is any -- if you could expound on the
3 -- the IT, particularly with regard to enforcement
4 database for EPA.

5 MS. MONELL: Well, the enforcement database is
6 maintained by AWECA, the EPA's enforcement, AA ship, if
7 you will. That said, we -- we share a database with them
8 on section-seven tracking, that's facility information
9 that companies have to provide to both us and to -- to
10 AWECA, so we share a database around that. But I think
11 what you're really trying to get at is a database that is
12 maintained by AWECA.

13 MR. BRADBURY: And offline we can explore --

14 MS. MONELL: Yes.

15 MR. BRADBURY: -- a little bit more of what
16 you're looking for and -- and I'll get you the
17 information. Anybody else? Oh, Cheryl/Sheryl, sorry.

18 MS. CLEVELAND/KUNICKIS: So originally the PRIA
19 system, as it came out, was really a win, win in a lot of
20 ways. And if you look around the globe, I see that PRIA
21 system with that predictable set of time lines as a real
22 advantage for U.S. agriculture and -- and -- and the
23 whole system, it's -- it's -- it's -- it's important. So
24 understanding that there's budget constraints and now
25 there's shifting of funds, what can be done to preserve

1 the original intent to have that predictable, fairly-fast
2 time-line fee for service that -- that was set in place
3 to date, what -- and what do you see maybe the coalition
4 doing, what is the work group doing, or what -- what is
5 the solution to this -- this maybe potential bleed of
6 that original intent?

7 MS. MONELL: Well, actually, the -- we -- we
8 gave a very similar budget presentation to the coalition
9 a month ago, and that was their question, what can we do?
10 And -- and, you know, the -- the congress passed PRIA,
11 and in large part it was because it was supported by a
12 coalition of such divergent interest it almost couldn't
13 help itself. And congress also recognized the need for
14 the U.S. budget to -- to, at least temporarily, eliminate
15 that provision of PRIA that provides for the minimum
16 appropriation.

17 I would say that, you know, me, Marty Monell,
18 Deputy Director, OPP, in charge of pre-implementation,
19 get your packages in as good a shape as you can, that's
20 what you can do to help the pesticide program, so that we
21 don't have to spend time on -- and we won't be able to
22 spend time, quite frankly, we'll be rejecting things left
23 and right if they're not put together well. If we don't
24 have the data, we can't -- we can't review it and we're
25 not going to ask you for it a second time.

1 Things that are -- that are less risky and don't
2 require us to make a lot of adjustments for the risk and
3 -- and you all can negotiate after the fact with --
4 around risk, obviously we won't make those time frames.
5 We -- we just won't be able to, because we won't have the
6 resources to spend on trying to make things work. So
7 less risky, packages that are put together well, those
8 are the kinds of things that will be our high priority.

9 I will tell you I -- you know, as I -- as I
10 noted, we're only in the 23-percent renegotiation rate.
11 We're at about a 98 percent completion on time, that's --
12 that includes renegotiations, but that's -- that's still
13 very good, our goal has always been 99 percent. So to be
14 at 98 percent is -- we're very proud of that. But, you
15 know, you -- this is on the backs of our staff, and we
16 can only ask so much of them, and I -- I fear that those
17 numbers will go down.

18 But nonetheless, we also recognize our
19 responsibility and -- to maintain the intent of PRIA in
20 terms of predictability for growers and -- and
21 registrants and -- and -- and our own obligation to do it
22 and with, you know, good science and -- and effective
23 risk-management decisions, so it's a balancing act that
24 we're going to do. The more you can do to -- to help
25 with our work by making the package complete, I guess, is

1 -- is what we would ask.

2 MR. BRADBURY: We'll just -- we'll close out
3 this session. And just to -- to re-emphasize Marty's
4 point and -- and Jim's before, without meeting the
5 minimum appropriation, that -- that does put a -- that
6 changes things in terms of the resources that we have
7 available.

8 Having said that, I -- there's a way, as long
9 as the fees keep coming in, to maintain predictability.
10 Some of the predictability may be that the percent
11 decisions on time may go down, but it will still be
12 predictable. If -- if the fees can no longer be
13 collected, as Marty indicated and Jim indicated, then --
14 then it's a new ball game, because then the resource base
15 is dramatically different. And then what the process
16 would be, I -- none of us can speculate now, so -- and
17 then the other point is we don't petition congress for
18 funds, so that's the business of others.

19 Okay. So why don't we move on to the next
20 session, which is update and a lot of new information on
21 our efforts with implementation of the Endangered
22 Species Act. And all the -- our colleagues across the
23 federal government that have been working with us very
24 hard over the years will all share in -- in presenting
25 it, so Rick from Pesticide Program, Helen from National

1 Marine Fishery Service, Sheryl from USDA, and Paul from
2 U.S. Fish and Wildlife Service. So turn over to Rick, I
3 think, that will kick us off.

4 MR. KEIGWIN: Yeah, I'll kick us off. And I
5 think it's really great that it could be the four
6 agencies that are involved in implementing the Endangered
7 Species Act considerations as part of pesticides to be
8 co-presenting, because certainly over the last few years
9 it's very much been across-the-federal-family team
10 effort. And as you hear more on the -- where we are,
11 particularly with the implementation of the
12 recommendations from the National Academy of Sciences, I
13 think we've all gotten to know each other really well,
14 and have spent lots of time together, and -- and so we'll
15 -- we'll share with you where we're at.

16 Unfortunately we didn't have time to sort of
17 coordinate, so I thought what we could do for the four of
18 us is I would cover the -- the focus-meeting piece, the
19 stakeholder-engagement piece, and then the latter half is
20 very similar to a presentation we did recently. So maybe
21 Paul and Helen, if you -- if you remember which parts you
22 did in that one, we can go from there and I think we'll
23 be okay.

24 And I would be remiss to not mention the fifth
25 member of our little group, Don Brady, who is on

1 vacation, but I know he wishes he were here to be part of
2 this. Really, he does. So as I said -- is there someone
3 who has the --

4 UNIDENTIFIED FEMALE: This one?

5 MR. KEIGWIN: -- clicker? Right. Yeah. Oh,
6 no, I'll just take it. Okay. So, as I mentioned, we're
7 going to cover two topics today. And I'm sure there will
8 be lots of questions, so we'll leave lots of time. The
9 first area that we're going to cover is to update you all
10 on where we are with our revised process that we're
11 applying to registration review for increasing
12 stakeholder engagement in the registration-review
13 process, particularly as it relates to EFA, and then the
14 second topic that we'll cover is our efforts today across
15 the federal family to implement the recommendations from
16 the National Academy of Sciences.

17 So the first area you all are probably aware
18 that in the summer of 2012 EPA, NIMS, Fish and Wildlife
19 Service, and USDA jointly developed a proposal for
20 increasing the opportunities for stakeholder engagement
21 in registration review. And the idea here was to ensure
22 that as we're going throughout our re-evaluation process
23 and as we moved into the consultation process, that we
24 had the best available information on the intended
25 pesticide use, what uses registrants were supporting as

1 part of re-evaluation, and how these products were being
2 used in the field either by growers or in the non-
3 agricultural sector in -- so the application setting both
4 residential landscape types of uses.

5 We got considerable comment on that proposal,
6 but overall pretty much everyone in agreement that these
7 were the right things to do. And so with -- with very
8 modest tweaks to the proposal that we issued in the
9 summer of 2012, we issued the final program in March of
10 this year. One of the biggest changes to this program
11 was that we instituted something in the very early stage
12 of registration review called a focus meeting, this was a
13 concept that we had utilized during re-registration, at
14 that time we called it a smart meeting. Don't me what
15 smart stood for, it was not an acronym. But -- but the
16 intent remained the same, which was to get the best
17 information about what was no the label, we've -- and
18 what should be on the label.

19 We've tweaked this a little bit here for
20 registration review, because what we're doing is a -- a
21 few things. Our federal partners are invited to
22 participate in those meetings, we've had some great
23 success, particularly where there's been an overlap with
24 an -- on a chemical with an ongoing consultation.
25 Sometimes we can not only address some of the issue that

1 we're having as part of scoping out the registration
2 review, but it also helps the services as they're doing
3 their evaluation in the development of a draft biological
4 opinion to get some questions answered that really help
5 meaningfully in helping them complete their analysis.

6 To date we've had about 40 of these meeting, by
7 and large we think they've been pretty -- they've been
8 pretty good meetings. We've only had one or two that
9 were sort of the -- the sales type of shows. What we're
10 really trying to do is dig deep into what does the
11 registrant want to support, what are the stewardship
12 efforts behind a product. We've done an analysis of
13 where there are gaps in information on the labels, you
14 know, if something says -- doesn't say how many times per
15 year it's supposed to be used and we have to make an
16 assumption, we share that assumption.

17 And oftentimes we're finding out, not too
18 surprisingly from the registrants, no, we didn't intend
19 for that to be used once a week, 52 weeks a year, we went
20 -- meant it to be used once a season. That's very
21 critical information, because that's a -- that's a key
22 perimeter in -- in driving the risk assessment.

23 We've even had some instances already pre --
24 sort of the risk assessment part of registration review
25 where registrants have said, "Now we understand where

1 you're going with that based upon the uncertainty
2 analysis that you're presenting, we don't really support
3 all of the use patterns that are on the label," or,
4 "We'll clarify this so that it's only used in the in-
5 furrow application," or -- or, "We'll put greater
6 specificity on the number of application rates and what
7 the retreatment minimal are." Those -- that's really
8 key information for us to have, so that as we're doing
9 our risk assessment and as everyone is responding to our
10 risk assessments, we're all working from a common set
11 understanding of how the product is used, how it's
12 intended to be used, and we think it minimizes sort of
13 the back and forth between all of us and is a better
14 utilization of our resources.

15 Now, even though this chart says that the focus
16 meeting is only intended to be at sort of this early
17 scoping stage of the process, in fact, we've been
18 experimenting with doing them at various stages of the
19 process. So because some of the registration review
20 cases are further along, sometimes we're doing them as
21 we're entering into the preliminary risk assessments,
22 sometimes we're doing them as we're in a public-comment
23 period on the preliminary risk assessment.

24 As we've mentioned here before, those are
25 typically meetings between us and the registrants. But

1 if others want to come in and discuss the chemical with
2 us, happy to have those meetings. We are docketing
3 minutes from any of those meetings that take place, so to
4 the extent to which people want to find out what
5 happened, minutes for each of those focus meetings will
6 appear in the registration review docket for that
7 chemical.

8 One of the other changes that we made to the
9 registration review process with this revised
10 stakeholder-engagement program is we shifted where in the
11 overall re-evaluation process we thought we would seek
12 consultation with the services if we felt that
13 consultation was necessary. Initially when we started
14 registration review, we had envisioned initiating
15 consultation at the preliminary risk-assessment stage.

16 I think one of the things that we all found out
17 is that's a bit too early in the process, it's not --
18 it's not really at the point where we've defined what the
19 federal action is. And so consistent with how the
20 services interact with other parts of the federal
21 government on federal activities, we thought shifting the
22 consultation process to a later point that is really more
23 of the point where we're saying, here is where we -- what
24 we think is eligible for continued registration is more
25 appropriate, and it's more -- it's more in the model of

1 how most consultations are done with the services under
2 ESA.

3 And so I think over the next year we'll be
4 getting to that point with a number of registration
5 review actions, about 15, or 16, or so cases have gone
6 out for preliminary -- comments on the preliminary risk
7 assessment this year, so you'll start to see those start
8 to move to the revised risk-assessment proposed decision
9 phase in the coming year. And so that's likely where if
10 we felt that we needed to initiate consultation, that's
11 where we would do it. Again, the focus meeting is really
12 to focus on the information needs for us in the risk
13 assessment, and we really think it's an opportunity to --
14 to reduce the uncertainties in our analysis so that we
15 can make more-effective assessment and risk management
16 decisions.

17 So let me stop there, and we can shift to the
18 report from the academy. I think -- Paul, if I'm
19 remembering the last briefing we did, I think this is
20 where you sort of kicked in, but --

21 MR. SOUZA: Sure.

22 MR. KEIGWIN: Okay.

23 MR. SOUZA: Sure, I'd just love to introduce
24 myself to this group as well. I'm also going to be a
25 part of this group going forward, and very much look

1 forward to the conversation.

2 I started my current job in our headquarters
3 about two years ago, and I must admit I did not know a
4 whole lot about pesticide consultations at that time.
5 But since then I've dived into the deep end with our
6 staff and we've been working on this a tremendous amount,
7 we'll talk about some of that coming up here.

8 I can tell you without question this is one of
9 our highest priorities regarding our consultation
10 program, we recognize that we have a tremendous workload
11 associated with the registrations moving forward. We
12 know that we've seen litigation over the years that have
13 -- that litigation has changed the dynamic, so to speak,
14 of the need to complete these consultations. And I think
15 all of the federal family is working really closely now
16 to work through this and figure out a path forward, and
17 we'll talk about some of that now.

18 Some of you may have seen the national Academy
19 of Sciences' report that came out just a few months ago.
20 If you haven't, I really encourage you to read it. It's
21 a, I think, very helpful document to us, it represented
22 an effort that our agency's funded to have independent
23 scientists give us their best advice for how we might
24 move beyond some of the scientific challenges that we've
25 faced, quite frankly, for decades regarding pesticides

1 and consultation under the Endangered Species Act.

2 I think the report provides us a really strong
3 basis for moving forward, I also think that there are
4 lots of questions that we still have to answer in more
5 detail. Some of the recommendations are clear and I
6 think can be implemented quickly, others are going to
7 take more time, but I do believe I speak for everybody
8 when I say we're committed to the long haul to figuring
9 out how to implement them all to the extent that we can.

10 We've met a series of times over the months that
11 have occurred since that report was finalized, both at
12 kind of senior leadership team level and also a staff
13 working group level, we tried to figure out how to make
14 sense of this report. There are major sections that
15 outline the issues that really have been the basis for
16 our challenges over time, things like sublethal effects,
17 how we deal with indirect effects more broadly, to really
18 dive into the details of the recommendations, figure out
19 what we think we could do in the short term and what we
20 think would take more time to implement.

21 The goals that we've outlined, I think all of us
22 would love to be in a position where we could develop a
23 single and unified approach where the scientific methods
24 that are being used to assess the impacts on species are
25 clearly defined and clearly agreed upon by all agencies.

1 And again, I think the report takes us a step in that
2 direction, but we do have some more work to do.

3 One of the pieces that is really important is
4 the engagement piece as well that Rick talked about.
5 What we have found throughout our experience with
6 consultation, is consultation is most effective when
7 there's early discussions with registrants, with user
8 groups when the best science is brought to the table on
9 impacts to the species and you don't have a situation
10 where a consultation that's provided under the duress of
11 a timeline is changing some expectations that have been
12 long set over years. So the public engagement piece
13 really is a process piece, but one that is, I think,
14 going to be integral in us figuring out how to implement
15 this report's recommendations best.

16 I think another point that I'll add about this
17 is just the need for continuing evolution. We're not
18 going to be able on a dime to address all of the
19 outstanding questions, but there are things that we can
20 do and having a process that will allow us in partnership
21 as we get more experience under our belt to adapt, and
22 change, and improve, and reach that goal that we have of
23 the unified approach, the transparency in a process that
24 has early engagement as the key. How about you, I'll
25 pass the baton to you, Helen.

1 MS. GOLDE: Okay.

2 MR. SOUZA: Does that make sense?

3 MS. GOLDE: Sure.

4 MR. SOUZA: Just like Rick said, that's where we
5 left it last time, right?

6 MS. GOLDE: Yeah, why don't you flip to the next
7 slide. So just -- just to introduce myself, my name's
8 Helen Golde, I'm the Deputy Director of the Office of
9 Protected Resources in NOAA Fishery Service. For the
10 last year I've been the -- I was, until very -- until
11 about a month ago I was the acting director. Jim Lakey
12 was the director before me and he was a member of this
13 group prior to Paul representing the services, so I was
14 acting after Jim retired.

15 We just brought on a new director, Donna Weeding
16 (phonetic.) She's getting up to speed on a number of
17 things, but she and I have agreed that since I dove in
18 deeply into this -- into this stuff as acting director, I
19 am going to keep this as -- as part of my portfolio and
20 which I am actually very pleased about. I think we, as
21 Paul mentioned, Paul, Rick, and -- and Sheryl, and I, and
22 Dawn have all developed a very good working relationship
23 and I think it's important for us all to think about how
24 we move forward collectively on this.

25 So on that note, I'll turn to where we are here.

1 So as Paul mentioned, we are -- have been thinking about
2 how to use this report to move forward, and one of the --
3 one of the things we realized is that we didn't want to
4 -- no one agency wanted to be able to hold -- wanted to
5 hold up this report and say, we won or -- or we lost.
6 That there's a lot of recommendations in there, and that
7 what we all need to think about is how do we collectively
8 take those recommendations and move forward. So we
9 recognize that there is probably going to be changes in
10 how all of us do business at least relative to one
11 another, how we think about some of our assessments.

12 And as Paul also mentioned, we are going to
13 implement this in a -- in sort of a phased approach.
14 There are some things that we think we can implement
15 right away, there's recommendations, for example, about
16 engaging the public more. And as Rick already mentioned,
17 that's -- that's something that we were already moving
18 forward on, so that's sort of an -- an easy check to do
19 and -- and that's -- that's sort of mentioned in these
20 last couple bullets on this slide about the -- the
21 stakeholder paper.

22 In moving forward iteratively, I think we
23 realize that if we were to start at the very beginning of
24 the process it would be a number -- if -- if we just
25 said, oh, let's start with the -- the next few that are

1 entering the -- the re-registration process and -- and
2 start implementing changes in how we do business there,
3 we wouldn't need changes for a fair number of years.

4 So that in looking at sort of the whole schedule
5 and how the registration process works, we want to
6 implement actions, implement changes with various actions
7 at the stage they're at, so we don't want to move
8 backwards. We realize that it's -- it's probably really
9 difficult, and given everybody's workload, to say, oh,
10 let's redo work that we've already done making some
11 changes, so we want to move forward from this point
12 forward with whatever -- at whatever phase different
13 actions are in.

14 I think we can go to the next slide, if you have
15 the -- the clicker there. So on that note we identified,
16 you know, as I said, things that can be done immediately,
17 things that -- sort of interim approaches of things that
18 are going to take longer. We are going to have another
19 internal meeting in the beginning of August to really
20 dive more deep into some of these recommendations and
21 look at how we can work out interim approaches in moving
22 forward, and we think this is going to be sort of an
23 iterative thing.

24 We'll say, okay, here's how we want to
25 collectively do these types of analyses, now let's try it

1 in a few -- in a few registrations and a few
2 consultations and see how well that works. And if we
3 need to tweak things, we'll tweak things, but -- so as
4 Paul said, we can't sort of shift on a dime, but we are
5 going to phase this in at various phases in the process
6 and using an iterative approach to develop our best way
7 forward.

8 I think the one other point on this slide that I
9 really want to point out is the last bullet, and that is
10 we all have, all of us, a huge workload already. In NOAA
11 Fisheries we have a number of consultations that we have
12 completed, one of which has now been remanded by the
13 courts that we're going to need to rework.

14 We have some others on our docket that we have
15 settlement agreement for timelines to complete, so we
16 can't -- we have to work new consultations, changes into
17 that existing workload, and so that's one of the things
18 we've all been talking about is how do we not -- how do
19 we move forward and make appropriate changes at the
20 appropriate time and not derail the workload that we
21 already have, so it's going to be a challenge for all of
22 us and we appreciate your patience with us as we -- as we
23 do that.

24 And I think that we need to show the last slide
25 here, Paul, and then maybe tell me what I forgot and we

1 can open it up to questions. So we will be putting out
2 an interim, tentative plan about how we're going to
3 respond to this report -- report, which will summarize a
4 lot of what we've -- we've said here, sort of what --
5 what is our process for integrating and implementing
6 changes recommended by a report.

7 And then as we develop these more-concrete
8 scientific approaches to how to address things like more-
9 concrete ways to do -- to deal with mixtures, say, then
10 we will put those out for the public to respond to so
11 that folks can see the kinds of approaches we're planning
12 on taking. So now what did I forget?

13 MR. SOUZA: Sheryl was going to sort of help sum
14 us up and talk about USDA's role.

15 MS. KUNICKIS: Yes, as -- as most of you
16 probably know, USDA really doesn't have a role in -- in
17 -- in this process, but it is our agricultural community
18 that is impacted by the decision, so let me just talk
19 about what's already happening, even though the report
20 just came out in late April.

21 My staff at the Office of Pest Management
22 Policies is very engaged with -- in consultation on -- in
23 the focus groups, those are -- like Rick said, have
24 already started, we've been invited for -- in a number of
25 meetings to participate in. My staff has -- EPA staff

1 knows the names of all of the staff that they can reach
2 out to for assistance, we've had the services come over
3 to our offices and spend time with our staff, depending
4 on whether it's an herbicide, or an insecticide,
5 whatever, to talk about, to find out and ask questions
6 how are these pesticides used, tell us about this, and
7 that, and explain what happens, and why does a farmer do
8 this, so it's being -- it's really turned out to be a
9 really terrific process so far, we feel like we're able
10 to provide value to them early on.

11 And then in turn we find out what information is
12 important to -- to inform this process, which has allowed
13 us to reach out to our grower groups, IPM centers, others
14 that we know have expertise or can provide information to
15 find out how -- how -- how the -- how pesticides are
16 being used for, or specific pesticides, so we feel very
17 comfortable with what's happening. I will tell you,
18 compared to a few years ago, this is very different and
19 this is very good.

20 This -- I can tell you the senior leadership of
21 the four agencies are very committed to seeing this
22 forward, and I can assure you that the staff-level folks
23 are very committed to making sure that we get this right
24 from the beginning, so we appreciate the partnership that
25 we have here. And I know it sounds kumbaya, but frankly

1 that's pretty much what's happening now.

2 MR. SOUSA: So, Steve, with that, that's our
3 report and we can take questions.

4 MR. BRADBURY: Opening it up for questions.
5 Mark?

6 MR. WHALON: I just wanted to ask Helen if she'd
7 do a -- maybe a couple of examples of what you mean by
8 implemented or -- or shared scientific approaches, what
9 -- what are you up to there, and also down further in
10 that same slide you -- you talk about shared scientific
11 approaches again and illustrate that with -- or outline
12 that with a two-year outside time frame. I'm -- I'm not
13 sure what you mean by implemented shared scientific
14 approaches.

15 MS. GOLDE: Sure. So, sorry if I wasn't clear
16 on that. So if you read the report, you'll find things a
17 lot of places where it will -- it says generally and then
18 more in specifics that the agency should agree on an
19 analysis framework and a way to do analysis. So the way
20 things have been happening sort of up until now is EPA
21 has been doing an analysis based on -- on, you know, the
22 models we have traditionally used, I guess I'll say, on
23 what the likely impacts of the use of the -- of the
24 pesticides would be on -- in this case listed tomonans
25 (phonetic,) because those are the -- those are the

1 species we've been working on.

2 And then we at NOAA Fisheries have taken that
3 and done another analysis in a different way, and I don't
4 -- I think that you could -- you know, you could make a
5 case that one or the other is a better one to do, but
6 what we all recognize is that it's not really a great use
7 of all our -- they're sparse and getting sparser
8 resources to do an analysis twice and disagree on the
9 best way to do analysis, and that that opens all of us up
10 for all sorts of legal challenges, not to mention it's
11 just, you know, as I said, not a great use of resources.

12 So in what -- sort of where we would like to end
13 up eventually, and I think two years is sort of our --
14 our outside time frame for this, is that there is one
15 analysis that's done and the services pick up that
16 analysis from EPA and say, yeah, we're going to sort of
17 -- we're going to look at this, we'll do a sort of check
18 to make sure that we -- we don't think that there is
19 some, you know, error -- inadvertent error or whatever
20 that was made there, but we -- but we've all agreed
21 already that this is the right analysis to do, and we'll
22 take that, and then we can do our final jeopardy analysis
23 using that same analysis on the -- on the impact of the
24 pesticides, so that's sort of the -- that's the -- the --
25 in general what I'm talking about.

1 So if you look at the report, there is
2 recommendations about how to -- how to -- to talk about
3 and -- and -- and analyze mixtures, there is
4 recommendations on -- on how to deal with uncertainty,
5 there's -- there's -- so those sorts of things. So we --
6 now it's relatively easy for us in the last couple months
7 in assessing the report to look at those and come
8 together and say, yeah, we all agree that we need to
9 figure out a way to deal with uncertainty and so we agree
10 with this recommendation, but the details of how to do
11 that is -- is sort of a whole different level of
12 discussion, so that's where -- what we're starting to
13 work on in the next few months.

14 And moving forward is what are those -- what are
15 -- what is the devil in the details on how you do that
16 assessment, and how you deal with the mixtures, how you
17 deal with uncertainty, there's -- there's a -- you know,
18 a -- a list of those things, and so that's what we're
19 calling our scientific approaches to -- to addressing
20 those types of issues.

21 MR. WHALON: Thanks, that's helpful.

22 MR. BRADBURY: Nichelle and then Ray.

23 MS. HARRIOTT: I guess as to expound on what Dr.
24 Whalon was asking, could you give us more of a glimpse
25 into the steps that the consultation takes, for example,

1 EPA initiates a registration review, there is data
2 culling at this point, what type of data, is there any
3 specific type of data that is specifically requested for
4 these types of consultations, are there specific issues
5 that is analyzed -- that are analyzed, is there any type
6 of -- of environmental monitoring data, use patterns,
7 things like that?

8 MS. GOLDE: I'll take a first stab at this, and
9 then I'll let Paul weigh in with -- with anything he
10 wants to add. So our -- the Endangered Species Act
11 requires that every federal agency ensure that their
12 actions not jeopardize the continued existence of those
13 species that are listed either as threatened or
14 endangered on the Endangered Species Act.

15 So, first of all, those are the species we're
16 looking at, those species that are listed on the
17 Endangered Species list. So the way I -- I tend to think
18 of consultation is it's the services working with the
19 action agency, in this case EPA, to help them meet their
20 obligations of ensuring that they don't jeopardize, so
21 they're, you know, sort of in a -- one way people look at
22 that is the services can't say, here's our new theory.
23 The services say, here's our federal action, they -- or,
24 sorry, the action agency, the EPA, here's our federal
25 action, hand it over to the services. The services do an

1 analysis and say, yes, we think you have insured that you
2 won't jeopardize these species or, no, we think that you
3 are likely -- you may jeopardize these species.

4 Now, I think one of -- in our continuing to work
5 more cooperative moving forward in incentives, what Rick
6 talked about, about looking at actual use patters, that
7 helps us to work collaboratively and say, well, let's not
8 just hand over a label and say, well, here's what the
9 label says. You know, you, services, determine whether
10 this jeopardizes the species that you are responsible
11 for.

12 Instead, as we work more cooperatively and say,
13 well, if you made this shift, can we work with the
14 registrants to say, this is the kind of thing we're
15 worried about. We're worried about, for instance, aerial
16 application, because it's -- you know, when winds are
17 higher than X, because it's likely to -- to blow, you
18 know, into a stream where we have listed salmon, for
19 example.

20 So we are required to use best-available
21 scientific information, that's the standard within the
22 Endangered Species Act. So that's -- you know, people --
23 some people may interpret that differently than others,
24 but basically we -- we like to get as much information as
25 we possibly can that's there and out there. Because it's

1 best available, there's not a requirement under the
2 Endangered Species Act to do new studies or develop
3 information that isn't already available, so we do our
4 assessment based on information that is available.

5 Now, I know that in the registration process
6 there may be some requirements for you all to do some
7 additional studies, and we have started talking about if
8 there's particular information there that would be
9 helpful to the services in doing their analysis we could
10 certainly try to build that in if it wasn't, you know,
11 huge extra things. So I'll -- I'll leave it there and
12 let -- Paul?

13 MR. SOUZA: Just briefly, and I'll echo a lot of
14 what Helen said, just try to say it in a different way.
15 We do consultations every day for all kinds of different
16 things. The Department of Transportation wants to build
17 a road, we do a consultation on it if it may effect
18 listed species. When the Corps of Engineers wants to
19 build a dam, we do a consultation on that to determine
20 whether it's going to effect listed species. In our
21 experience, it's always been the same, consultations are
22 most effective when we have early engagement. When there
23 has been, in some cases, years of investment by a permit
24 applicant in a federal agency about a specific project,
25 and then in the -- maybe not 11th hour, the 10th hour

1 there's a proposal that's brought before us and there's a
2 -- so much buy-in to that proposal it's difficult to
3 change, that's when oftentimes we can see challenges.

4 When, however, we can sit down through a focus
5 meeting process with registrants and have a stakeholder
6 engagement process that brings other views to the table,
7 have a direct conversation about how is the pesticide
8 really going to be used by the user community, have a
9 conversation about whether the application of that
10 pesticide could be changed perhaps to avoid a specific
11 finite area at a certain time in the nesting season
12 perhaps, reach that agreement, then EPA would proceed to
13 a biological evaluation that basically had addressed most
14 of the concerns and it makes the process much more
15 smooth.

16 So it really in my view is a classic case of
17 embedding the consultation process within the FIFRA
18 process. In the other federal agency nomenclature we'll
19 often fold it within the NEPA process, the National
20 Environmental Policy Act process, but FIFRA is
21 essentially the mechanism that we think consultation
22 needs to be folded into from beginning to end.

23 MR. BRADBURY: Okay. Ray and then Steven.

24 MR. MCALLISTER: In terms of complexity and
25 scientific challenge, as well as the impact on and

1 importance to agriculture, I believe that the task or set
2 of tasks represented by the NAS report is on a par, if
3 not exceeding that, of the Food Quality Protection Act,
4 which was dumped in your lap 17 years ago with no phase-
5 in period. At that time the agency chose the path of
6 involving all stakeholders in not only commenting on
7 policies, but integral involvement in developing those
8 polices. Is this an approach you're considering taking
9 for ESA in implementation, or are we going to get the
10 policies to comment on after they're pretty much written?

11 MR. KEIGWIN: What we've all committed to is we
12 think it's really important that we get agreement across
13 the federal family. We also think that there is great
14 value in public involvement and engagement on those --
15 those draft approaches. So as -- as Helen was
16 mentioning, the current plan is to develop these sort of
17 uncertain timelines, but as they're being developed to
18 make them available to the public for comment, and --
19 and, you know, we will make revisions to them based upon
20 those comments. Yeah, go ahead, Helen.

21 MS. GOLDE: I -- I -- I just want to add that
22 while the NAS report is new, certainly the requirements
23 under the Endangered Species Act are not. And there is a
24 lot of case law and a lot of history in all of the work
25 that we do, and so I think that's one of the things that

1 informs a lot of our -- our discussions, and so I think I
2 -- while I totally agree with Rick and we do think
3 there's a lot of value of what comes in from -- from you
4 all, there's also some perimeters that we need to work
5 within that are pretty well set for us by the law,
6 regulation, and a lot of case law from years of lawsuits
7 from the -- under the Endangered Species Act.

8 So we do want to make sure that what we put
9 forward to you all is within those perimeters, and I
10 think that's one of the reasons why I -- at least for me
11 personally, I think it's more efficient in -- in many
12 ways for us to sort of -- to -- to come up with our best
13 thinking first, and then -- and then put it out to you
14 all for -- for comment.

15 MR. SOUZA: I just had a couple of points about
16 that as well. To go back to our next steps, it's our
17 sincere intention that within the end of this summer
18 we'll be in a position to have a short white paper that
19 describes the path forward for implementation, the things
20 we can do now, the plan for developing interim
21 approaches, the plan for the adaptive management through
22 experience over time. We're also hopeful that in the
23 fall we're going to have some draft interim approaches
24 that we can share, and our current thinking is that is a
25 -- a good time to have something meaningful for people to

1 respond to.

2 The other point I'll make is the public
3 engagement process that Rick described, it has now a
4 situation where draft biological opinions would be
5 provided for public comment. So not only would there be
6 a transparency and -- and ability to provide comment as
7 we try to take the next step for the policy development,
8 but it's -- it's -- actual manifestation through
9 individual registration and consultations will have that
10 opportunity as well.

11 MR. BRADBURY: Steve and then Dave.

12 MR. SMITH/COY: This process -- all right, I'm
13 new to the PPDC, but I'm not new to the pollinator work
14 group, and this process seems to be very productive, more
15 so than what I've been engaged with the last 10, 12
16 months, I think. Have there been any recommendations
17 made for existing labels, or are we -- are you not that
18 far along?

19 MR. SOUZA: Well, this is really at more of the
20 assessment stage and how we go about doing the biological
21 evaluations of the potential risks associated with the
22 product. And then as we work through consultations, we
23 are envisioning -- and even the biological opinions that
24 we've received to-date are -- help us get at, under the
25 Endangered Species Act, reasonable and prudent measures

1 and reasonable and prudent alternatives which can lend
2 themselves to the development, in some cases, of label
3 language to help address risks to endangered species.

4 So at some point in this process during the
5 consultation, the consultation that would result in the
6 biological opinion, there would likely be, and it could
7 vary case-by-case, but ultimately some label language
8 that would go on specific to the potential risk to
9 endangered and threatened species associated with that
10 specific chemical.

11 MR. SMITH/COY: So you --

12 MR. SOUZA: It's not envisioned to be generic
13 across chemicals --

14 MR. SMITH/COY: -- right.

15 MR. SOUZA: -- as we've been talking about
16 through the pollinator work group?

17 MR. SMITH/COY: Right, but have you -- have you
18 made -- you're not to the point yet where you have
19 actually made specific recommendations on specific
20 things?

21 MR. SOUZA: No, that's --

22 MR. SMITH/COY: Because I see some --

23 MR. SOUZA: -- right.

24 MR. SMITH/COY: -- I see parallels with what --
25 what we're working on there and what you're working on

1 here, and --

2 MR. SOUZA: Um-hum.

3 MR. SMITH/COY: -- and is there some way we can
4 improve the process on the -- on the work group --
5 pollinator work group sides?

6 MR. BRADBURY: Steve Bradbury speaking. I
7 enjoyed your -- your -- and I respect your comment that
8 we've made good progress, and all these folks and all
9 their colleagues working with them have made great
10 progress, and it's been about a 15-year slog to get to
11 where we are today, not because people aren't trying
12 really hard, don't get me wrong.

13 So -- but your observation is well taken, in
14 that I think what you're seeing across the federal family
15 and all the folks that we're working with is starting to
16 think through the science and how does the science
17 interface with FIFRA, and ESA, and how do you start to
18 create steps and processes that we can leave the last 15
19 years behind us and start focusing on pesticide
20 registration decisions that are compliant with endangered
21 species, so we're protecting the species as we need to
22 protect them in ensuring products that are important for
23 agricultural production and other uses are properly --
24 properly used.

25 So one of the things I think may be helpful as

1 we sort of absorb the -- the lessons learned, are some
2 things like what the pollinator group's working on and
3 will be playing out in endangered species, how do you
4 write a label in such a way that it's easily understood
5 so that people that want to do the right thing can easily
6 do the right thing.

7 And there will probably be some discussions
8 around how do you build in space and time in terms of how
9 you use a product, because the risk picture isn't always
10 the same at every moment in every place, and how to
11 create that flexibility. So I think across a lot of
12 different themes that we take on, we'll probably get some
13 lessons learned like from pollinators to endangered
14 species and some other -- some other examples. But maybe
15 at one level, part of the take-home message is -- and
16 it's hard, is lots of people have lots of different
17 opinions on how to get there, but figuring out where the
18 common ground and going, well, we might not be able to
19 solve all of this all at once, but we can start to solve
20 parts of it this way.

21 And I think the team's laying out some of the
22 NAF's recommendations are challenging, some of them are
23 more low-hanging fruit. And so I think the team's
24 decided, let's not miss the low-hanging fruit, because we
25 can start making things happen, making improvements, and

1 then we'll go to the mid and then the -- the high-level
2 fruit, and that may be a lesson that we can take into our
3 pollinator actions, so maybe lessons learned in terms of
4 some process things.

5 MR. SMITH/COY: Yeah. Well, it seems like the
6 -- the -- we can take some of what you all have done and
7 -- and implement it into our process and speed us along.

8 MR. BRADBURY: Let me see. Dave, Mark, and then
9 Michael.

10 MR. TAMAYO: When are the -- the minutes of the
11 focus meetings available, on what sort of time frame?

12 MR. KEIGWIN: They're generally available within
13 about 60 days of the meeting.

14 MR. TAMAYO: Yeah.

15 MR. KEIGWIN: And they go on the docket.

16 MR. TAMAYO: All right.

17 MR. KEIGWIN: Go back and forth.

18 MR. TAMAYO: Yes. Now, those are -- the results
19 of those meetings are going to -- are going to help
20 shape, you know, the -- the types of things that you're
21 considering doing, right?

22 MR. KEIGWIN: Right.

23 MR. TAMAYO: Because then you're going to be
24 talking about, okay, well, we are using -- going to
25 support this use and maybe not --

1 MR. KEIGWIN: Um-hum.

2 MR. TAMAYO: -- this use. Can -- can you get
3 those minutes up any quicker than that, because, I -- I
4 mean --

5 MR. KEIGWIN: You know --

6 MR. TAMAYO: -- that seems --

7 MR. KEIGWIN: -- that's the outside bar.

8 MR. TAMAYO: Okay.

9 MR. KEIGWIN: You know, given where we are in
10 registration review, you know, our -- our chemical-review
11 managers are juggling lots of cases --

12 MR. TAMAYO: Yeah.

13 MR. KEIGWIN: -- all at the same time between
14 working through problem formulations with our science
15 staff, to getting BCIs out, to getting -- managing
16 public-comment periods, so if we can do them faster, we
17 will, but it's just sort of a -- a time availability.

18 MR. TAMAYO: And -- and then you -- you
19 mentioned that there's -- there's -- you would make
20 opportunity for other stakeholders to weigh in sort of on
21 a --

22 MR. KEIGWIN: Um-hum.

23 MR. TAMAYO: -- similar fashion --

24 MR. KEIGWIN: Sure.

25 MR. TAMAYO: -- and at an early stage, and

1 that's why I'm concerned about the timing of the focus
2 meetings in case those work inform --

3 MR. KEIGWIN: Um-hum.

4 MR. TAMAYO: -- the types of comments that
5 somebody else might want to -- to provide. So what is
6 the process for, you know, I guess, establishing those
7 opportunities, what -- what does one need to do to -- to
8 get that and -- and --

9 MR. KEIGWIN: Um-hum.

10 MR. TAMAYO: -- how would you coordinate, you
11 know, variety --

12 MR. KEIGWIN: So the requests --

13 MR. TAMAYO: -- of stakeholders?

14 MR. KEIGWIN: -- are made through the chemical-
15 review manager.

16 MR. TAMAYO: Um-hum.

17 MR. KEIGWIN: You can find out who the chemical-
18 review manager is through the chemical-search function on
19 the EPA website for an established docket. We also have
20 published on -- on the registration-review website the
21 four-year prospective schedules for when chemicals enter
22 the process and the approximate timelines that it will
23 enter the process, so that would be the best starting
24 point is to sort of see where that is.

25 But as I was also mentioning, even if a chemical

1 has already started the process, if you -- if anyone
2 wants to come in and discuss a particular chemical or set
3 of actions with us, you know, contact the chemical-review
4 manager and we'll get that meeting scheduled.

5 MR. TAMAYO: Okay. Thanks.

6 MR. BRADBURY: Yeah. And the other point date
7 is as -- as a chemical is going from moving along and it
8 goes out for preliminary work plan, there's a public
9 comment period in -- in there too. So just as a team is
10 talking about incrementally kicking things in, there's a
11 -- formal common periods where you -- you can sort of see
12 what the outcome of maybe a focus meeting, and some use
13 patterns changing, you can call us ahead of time. So you
14 probably all want to be taking a look at the schedules in
15 -- in sort of optimizing how you want to invest your
16 time, and then we'll be as flexible as we can to make --
17 to make a go.

18 Okay. Mark, since you already had one bite at
19 the apple, why don't we do Mike, and then Allison, and
20 then we can come back to you.

21 MR. WHALON: I always like to have the last
22 word.

23 MR. BRADBURY: I'll decide.

24 MR. WILLETT: Thanks, Mark, I appreciate that,
25 your kindness for yielding. I just have a question.

1 There was a reference to biological opinions just in the
2 brief discussion and in -- in relationship to the
3 policies, and of course we're all looking forward to
4 seeing what those things are going to be, but I would
5 assume that this process, what the aim is, is to reduce
6 or eliminate the need to write biological opinions,
7 wouldn't -- wouldn't that be the goal and wouldn't you
8 expect to see a -- and plus for us to read 900 pages of
9 biological opinions?

10 MS. GOLDE: So -- so I certainly think that a
11 goal would be to have them be a little shorter. So the
12 way -- the way that -- the way it works is if -- if the
13 determination is that the action -- the federal action,
14 in this case the registration, may adversely affect the
15 species, you have to write a biological opinion.

16 Now, I think we can -- I would certainly say
17 there -- you know, it's always great if we can work up
18 front through informal consultation to make a not-likely-
19 to-adversely-affect determination, in which case we
20 wouldn't have to write a biological opinion, I don't
21 anticipate that will always be the case.

22 I think it's also fair to say that we would have
23 a -- a secondary goal, if we have a biological opinion,
24 to work closely with EPA to do everything we can to -- to
25 have a no-jeopardy opinion. Again, we can't guarantee

1 that up front, we have to see where the analysis leads
2 us, but the more we work cooperatively and we -- more we
3 have, as Paul talked about, the early engagement from the
4 registrants as to really look at the real use and changes
5 that can be made that are helpful to the species, but
6 don't undermine the -- you know, the -- the need for the
7 -- the use in a way that makes it not -- not efficacious.
8 I somehow lost my self in that sentence, sorry, but it
9 will be great.

10 So, sure, if we can -- if we can make not-
11 likely-to-adversely-affect determinations, then we won't
12 have to write biological opinions. And if we do have to
13 write biological opinions, we'll work to try to make --
14 to -- to get to know jeopardy if we can.

15 MR. SOUZA: And I'll simply add briefly that I
16 believe all of our vision with the shared scientific
17 methods is that when we reach that point, recognizing we
18 still got some work to do, that the biological
19 evaluations, the risk assessments that we're getting from
20 EPA, will essentially have all the parts and pieces of a
21 biological opinion. So our review becomes a detailed
22 review of that work to ensure it's accurate, but as Helen
23 said earlier on, not with an additional series of reviews
24 that could take time and energy.

25 So in the end if it's a biological opinion,

1 because the species may be adversely affected, that comes
2 from our agencies, but it's our hope, and we've seen this
3 in some other cases with other agencies, that the bees
4 that EPA provides will essentially be 99 percent there.

5 MR. BRADBURY: Allison and then Mark.

6 MS. STARMANN: I -- I think that this is easy,
7 and I apologize if I missed it, there's been a lot of
8 talk about timing, but in the work that the federal
9 agencies are -- are doing to try to come up with the --
10 the process, are you all working to dovetail that with
11 the PRIA timelines where there are PRIA actions involved?

12 MR. BRADBURY: We've discussed that a number of
13 years and the 15-year challenge. The way we want to
14 approach it at this point is the re-evaluation program
15 registration review, and use that as our first engine, if
16 you will, to get compliance. These tend to be the older
17 products and many of them, through the fits and starts
18 over the years, we've got to start on some of the science
19 that goes into the effects.

20 Determination is now being upgraded where --
21 where we pick up with the NAS report, so right now we're
22 focusing on dovetailing into the registration review
23 program, get some -- get some progress there, then we can
24 -- we can start to take a -- a look across. I mean,
25 ultimately we want to make sure every decision we do is

1 compliant with the Endangered Species Act, practical
2 issues to work through, so the re-evaluation program
3 being how to get started. Mark?

4 MR. WHALON: Thanks, Steve. I applaud this
5 joint movement, and the evidence of -- of its -- of its
6 progress, and hope not to jump too far ahead, but I
7 wanted to ask about the mapping implementation process
8 and where it -- where that's at these days, and whether
9 we are going to be dealing with risk communication in an
10 arena surrounding ag, or whatever, where the -- where the
11 -- where the likely chemical would be applied.

12 MR. KEIGWIN: So you hit upon one of the
13 specific areas in -- in the report about availability of
14 monitoring data, how do you utilize existing monitoring
15 data. I think Marty also spoke her comments earlier
16 about the efforts to try to pull together in -- in a
17 shared place for all agencies to use information about
18 habitats and critical areas of habitat species location,
19 species biology, all that type of information, and there
20 is a fairly concerted effort across the federal family to
21 pull that together.

22 I think we got -- did get some recommendations
23 from the NAS in this regard, and those are probably some
24 of the ones that may take a little bit longer on the
25 timeline that Helen was -- was referring to, but the goal

1 is to get there.

2 MR. BRADBURY: One of the charge questions --
3 that we embedded in -- in one of the charge questions was
4 the issue of best available information, in -- in that
5 regard, georeferenced information, temporally-referenced
6 information. And I think we all are looking to the day
7 when you can be downloading different GIS layers and you
8 can visualize, along with the words, where and how to use
9 a product at a certain point in time, and then actually
10 get that, everything from information quality issues, but
11 I think it's fairly positive and it takes -- as they look
12 across the federal government, and really between USDA,
13 interior EPA, these data layers exist and they sort of
14 lay out some -- some steps that we should consider.

15 And as Marty indicated, we've been working with
16 OMB. Not just us, but with Department of Defense,
17 Department of Transportation who all have this same need
18 to figure out where all this information is and bring
19 their information in, so we're going to try to elevate
20 that part of the NAS report to an even larger federal
21 government discussion. Because if you're building a dam
22 or you're building a road and the species are where they
23 are, they may also be where soybean fields are, cherry
24 orchards are, and so how do we layer this information
25 together and make sure the federal government isn't

1 trying to capture the information multiple -- multiple
2 times?

3 But it will then, Mark, I think, be a part of
4 moving forward as you start to use geospatial
5 information, how do you communicate that, how do you make
6 sure people understand it, how do -- how do words get
7 linked up with maps? I mean, this gets into some of the
8 things we've talked about before where right now growers
9 are downloading satellite information in terms of, you
10 know, what their nitrogen or phosphorous situation is in
11 the soil and it's managing how things are being applied,
12 it could -- it's not inconceivable.

13 Not tomorrow, but not in probably too many years
14 some of this information could actually be downloaded
15 into application equipment to help implement the label
16 into computers in the -- in the planting equipment. So I
17 think those are some near-term things and some -- some
18 farther-ranging things that we're -- that we're kicking
19 around, and that will definitely have a lot of input from
20 folks as we go forward.

21 So we're doing pretty good on time. If there is
22 any last question on this topic, the floor is open. All
23 right. Well, let me thank Helen, and Rick, and Paul, and
24 Sheryl, and everybody that works with them to help make
25 this all happen, it's quite a team. So we'll take a 15-

1 minute break and we'll start again at 3:15 on this clock.

2 Thanks.

3 (Whereupon, a brief recess was
4 taken.)

5 MR. BRADBURY: Hey, all, if you can start to
6 grab your -- your chair we'll get going with the
7 afternoon session. Thanks, everyone. Okay. So we'll
8 start our -- our afternoon session. And we've got two
9 sessions for the afternoon, one is an update from the
10 integrated pest management work group, and we'll turn it
11 over to them in a second, and then more of an update
12 briefing on benchmarks with regard to drinking-water
13 sources.

14 Okay. So we'll start the afternoon -- second
15 half of the afternoon with the report out from the IPM
16 work group. Bob McNally, who I mentioned earlier, is the
17 new division director for the Biopesticides and Pollution
18 Prevention Division, and he's picking up where Keith left
19 off in helping to guide the effort, along with Frank and
20 other colleagues in OPP and across the agency. Bob?

21 MR. MCNALLY: Yeah. Thanks, Steve. So we have
22 two things we want to do this afternoon. First, Frank
23 Ellis is going to talk about the Center of Expertise in
24 Dallas, Texas, and then we're going to have a report out
25 from the work group from this morning's meeting. So let

1 me turn it over to Frank, who's also going to introduce
2 the -- Thomas Cook, who's our recently-selected head of
3 the Dallas Center of Expertise.

4 MR. ELLIS: Thanks. Good afternoon, everybody.
5 We want to spend a -- just a couple minutes giving you a
6 -- a little background on the work group meeting that we
7 held this morning, we had pretty good attendance from our
8 work group. We had some key folks who were traveling and
9 weren't able to make it this morning, but we did have a
10 core -- a good, active core group that was present for
11 the meeting and we had a good discussion.

12 We kind of steered the group in a little
13 different direction than we've taken in the past, we had
14 a lot of discussion about some of the practical things
15 that we could do as -- as our school IPM program kind of
16 evolves and grows. And that now that we have our center
17 of expertise for school IPM up and fully staffed, some of
18 the things that we could help engage them in, so it was a
19 very productive meeting that we had this morning.

20 And we wanted to give you all an update on -- on
21 the center and some of the staffing, because we've talked
22 as -- over the past year and a half or so with you all is
23 -- is we've brought the center online. And one of the
24 things we want to do is to take a moment to have Thomas
25 Cook, who's the lead for the center there, introduce

1 himself and also talk about the staff that we have
2 onboard there. So with that, I'll turn it over to
3 Thomas.

4 MR. COOK: Thank you, Frank. Good afternoon.
5 As Frank mentioned, there's exciting times in Dallas,
6 Texas right now, so we -- we basically have completed all
7 our staffing in the -- the region-six office. We have a
8 total of four FTEs that are housed in the actual center,
9 again, I'm the lead for that -- the -- the center. We
10 have a young lady named Sherry Glick, who's the --
11 enormous amount of experience within the agency, she's
12 providing a lot of leadership as well.

13 We have a gentleman by the name of Brad Miller,
14 who has over 20-years' experience within the IPM arena.
15 He is a recent veteran, he spent many years over in
16 Afghanistan as well as Kuwait performing on-the-ground
17 IPM. And our last individual we have is Marcia Anderson,
18 who is a -- she transferred over from region two to
19 complete our staffing within the center itself.

20 We -- we're -- we're -- we have exciting tasks
21 that we are looking forward to accomplishing, we have
22 ongoing work that we're performing related -- directly
23 related to the strategic plan regarding IPM, but just to
24 let everyone know we're -- were hitting the ground and
25 we're going to run hard and heavy.

1 MR. ELLIS: Thanks, Thomas. One of the things
2 that we also spent a fair amount of time this morning was
3 -- was updating the work group on some of our activities
4 related to improving and -- and cultivating relationships
5 with some of -- some of the national groups that have
6 influence over the school's arena.

7 Some of the work we've done within the agency
8 improving our relationships and building upon them with
9 the other children's health-related programs, both within
10 the Office of Children's Health Protection and the Indoor
11 Air Environment's Division with their tools for schools'
12 program, I think we've made a lot of effort in that arena
13 over the past few months. There's a lot more to be done,
14 but we are -- we're proud of the accomplishments we've
15 made to date and we're looking forward to doing some
16 cross training with those groups and -- and building
17 those relationships over time.

18 We're doing some key outreach with the help of
19 the staff in the Environmental Stewardship Branch. We
20 were fortunate to have Lori Fragario (phonetic) on detail
21 as an OPP fellow for the past year with our program, and
22 she's been instrumental in helping us reach out to some
23 key national organizations as well, and so thanks, Lori,
24 for that, she's back in the audience today. And also the
25 -- the other staff, as -- as Thomas mentioned, Sherry

1 Glick and the others in the center, have been very
2 productive in -- in that effort.

3 So with that I think I'll turn it over to Dave
4 Tamayo, he's going to lead the report out from the work
5 group this morning, along with some of the discussion and
6 recommendation that the work group had. So, Dave?

7 MR. TAMAYO: Thanks. I -- I'm -- first I wanted
8 to report that I -- I did try to trick some of the other
9 members to doing this report out, but I failed in that
10 regard. So, actually, even though the -- we -- we
11 covered a lot of ground in our discussion, we -- what we
12 really settled on that sort of jelled into a
13 recommendation to EPA that -- that it -- start a -- a
14 pilot project in -- in a couple of states and looking to
15 increase the level of school IPM adoption, and, I mean,
16 the idea is there that -- that EPA would -- would use
17 this pilot project as a way of, one, sort of developing
18 some of the work products that would be necessary to --
19 to -- to do that successfully.

20 So some of the information work projects, for
21 instance, information on the quantitative benefits of --
22 of IPM that would be useful for IPM advocates,
23 consolidating training resources, making sure that --
24 that training resources were readily accessible and
25 available to -- to folks in those areas, information on

1 -- on contracting, a lot of information on how to develop
2 IPM within your -- within your school district, that work
3 would be accomplished both by folks from the centers, but
4 also in partnership with -- with people in the regions,
5 the regional IPM coordinators, and then also in -- in --
6 one of the ideas is that they should be partnering with
7 other federal agencies that are concerned with -- with
8 children's health. And so issues, say, like it -- it
9 could be lead abatement, or it could be mercury, or other
10 types of things that are really complementary to the
11 message of IPM, so there's a number of opportunities for
12 that.

13 Now, the actual shape of this, what they would
14 actually be doing would be an ongoing -- an ongoing
15 effort that the work group would help advise them on to
16 help shape what that program's going to be, what the
17 resources are going to -- going to look like, what kind
18 of information should be in there. So that's what the
19 work group will be continuing to work with, with staff
20 on, is advising them on -- on what -- what types of
21 information, and what -- what that outreach effort should
22 be, who they should be talking to in the states.

23 And -- oh, and I also forgot to mention that the
24 -- also in -- in covering issues, not just another aspect
25 of children's health, but also on working with other

1 folks to address environmental justice issues. And then
2 finally the -- one of the advantages -- or -- and the end
3 result of this, there would be a body of -- of materials
4 that -- some of which are -- are already out there, but
5 maybe they're put out by a -- more of a regional-focus
6 effort or an NGO, and we think that there's some
7 advantages to having materials and information sources
8 that are basically bedded by a broader group of
9 stakeholders, and that would actually be coming from EPA,
10 and then I would think that there's some advantages in
11 doing something on a national basis and trying to
12 influence the direction that states are taking by having
13 materials that -- you know, that are coming from EPA.

14 And -- and then also the idea is to -- to create
15 things -- or a program and an approach that's exportable
16 to other states. So it wouldn't necessarily be that --
17 that EPA would continue to be the -- the -- the primary
18 deliverer of this type of effort, but at least an
19 approach would be developed. And then also some of the
20 work products themselves could very easily be just moved
21 from state to state, they're -- they're not necessarily
22 going to be state-specific resources. I think especially
23 in this field in the -- in -- in a focused area like
24 school IPM, a number of these resources, say, like the
25 quantitative benefits of -- of IPM, would be something

1 that -- that will be useful to basically somebody
2 anywhere in the country.

3 So -- and so we're looking forward to continuing
4 to schedule these work group meetings and -- and trying
5 to give a little bit better shape and definition of the
6 program, and that's where we're at.

7 MR. ELLIS: Any other work group members who
8 came in want to comment on any of that, that -- that Dave
9 talked about, or is that pretty much -- pretty much it?

10 MS. HURLEY: This is Janet Hurley and I have no
11 extra comments, other than that, yes, it's -- I think
12 that you will find a -- a more collective approach of us
13 trying to work more with -- with EPA now that we've got
14 the fully-staffed center of expertise. I will say this,
15 I'm going to put a plug in to everyone that I know that
16 if that work group is open to anybody, since I didn't
17 know this, I'm just going to dive in and say that I'm
18 going to start telling more people about that work group
19 meeting so that we can get more involvement with the
20 people who are doing it, the boots on the ground.

21 MR. MCNALLY: Well, I might just add that with
22 EPA's support we're completing a survey of school
23 districts nationally, so state-by-state we've been
24 contacting school districts and finding out a level of
25 IPM in each school district, and we also did a -- a

1 state-level survey where we contacted state leads and
2 asked them to profile school IPM activities in their
3 state.

4 And since the -- the national coordinated effort
5 started back in 2006 with the development of the pest
6 management strategic plan for IPM, we've seen quite an
7 improvement both at the state level -- we have many more
8 states that had a coordinated program with multiple
9 agencies getting involved in school IPM in the state, we
10 have more funding at the state level than in 2008 when we
11 did our first survey.

12 We have 240 people now who are part of the
13 national working group, which is comprised of four
14 regional working groups, and then our state-level school
15 district survey data is very interesting. And one of the
16 -- the most striking things about it that we have
17 tremendous variability from state to state by -- in terms
18 of indicators like IPM policies, IPM plans, IPM
19 coordinators in school districts, and we've identified a
20 number of states that are way, way behind the curve in
21 terms of getting school IPMs in place, so that
22 information will help us target our activities more
23 effectively.

24 And -- and also some interesting correlations in
25 terms of the state-based legislation in school IPM and

1 IPM performance in the states too, and this tremendous
2 variability from state to state in terms of the
3 regulations that are in place, and we'll be doing some
4 more data analysis to identify what are the -- what are
5 the key factors associated with state-level legislation
6 that really favors high performance in terms of presence
7 of these, the indicators of IPM.

8 MR. BRADBURY: So I've got some questions.
9 Realizing that the work group's going to be -- oh, Mae,
10 go ahead.

11 MS. WU: Oh.

12 MR. BRADBURY: You're more important than me.

13 MS. WU: So I'm brand new to this, so apologies
14 for asking what may be obvious questions. So, I mean, I
15 heard that this is all school related. Are -- like, are
16 part of the plans going to be that -- I don't know, like
17 the materials that you all are coming up with, I
18 understand that they will be able to go from state to
19 state. Would they also be something that would be
20 applicable to, say, like, public housing places, or,
21 like, ag uses? I mean, it sounds -- it sounds like, like
22 they're quantifying the benefits and that kind of thing
23 might be useful outside of the school arena.

24 MR. MCNALLY: There was discussion about the
25 applicability of -- of this particular type of IPM to

1 other institutions, and I think that a -- a hospital's
2 daycare, I'm not sure, maybe multi-family housing, but
3 certainly there's things that -- that sort of -- that
4 sort of would be.

5 MS. WU: Um-hum.

6 MR. MCNALLY: So I think the -- the focus right
7 now is just on this. I -- I think some of the work
8 products would be adaptable to -- to other situations
9 like that. Certainly the farther, the less you have in
10 common, so it would be harder to make a case for
11 agriculture.

12 MS. WU: I mean -- I mean, and I've been
13 envisioning since you were talking about, you know, the
14 farm worker kids, buyer, or whatever may have, and
15 schools would have too, so I'm just trying to think of
16 the broad --

17 MR. MCNALLY: Yeah.

18 MS. WU: -- like making it as broadly --

19 MR. MCNALLY: Yeah, it is. I think the idea is
20 -- (inaudible) -- so I -- I think that's in -- in the
21 little bit longer term, but certainly some of those other
22 institutes are much closer, I think it would be readily
23 transferrable to that.

24 MS. WU: Okay.

25 MR. BRADBURY: And -- and just to clarify, the

1 -- the charge for this group does go beyond the school
2 IPMs, so -- and -- and we've had report outs over the
3 last -- the time I and Dave -- the last couple of three
4 meetings where we talked about, things like what would be
5 metrics for successful IPM programs in ag, or in public
6 health, or -- I mean, I think we talked about health care
7 centers.

8 And I -- and I think some of the -- would you
9 guys correct my memory, one area of it that we thought,
10 because of initiatives going on within the pesticide
11 program, the school IPM area, try to make sure we could
12 really start to get some movement there and then maybe
13 sort of pick up on some of the other areas down the road,
14 but members from the -- from the work groups should weigh
15 in, in terms of my recollection.

16 MR. MCNALLY: So on the ag side we -- we invited
17 Bill Coley (phonetic) from University of Massachusetts to
18 participate in the work group, he was involved and there
19 were EPA people as well. Ten years ago or so there was a
20 national IPM evaluation work group, I don't remember
21 exactly what the name was, but essentially they -- they
22 had done a chunk of the work that we had not identified
23 our work group wanting to do, and had developed a series
24 of very-detailed logics models that presented the
25 benefits and metrical metrics for IPM and ag for the work

1 group, and felt that those really didn't need to be
2 updated, and we -- we pulled out some of the metrics from
3 that list and reported out on that, I think, in November.

4 MR. BRADBURY: Janet?

5 MS. HURLEY: And just so you know, as far as
6 homes or multi-family housing, USDA and HUD have already
7 taken on that charge. For those of you that are web
8 savvy, if you go to stoppests.org, that is where all of
9 that information is housed. We've not been quite as
10 cohesive as that effort has been out of the northeast IPM
11 center. However, I believe that that's with the center
12 of expertise and what we're doing on a national school
13 IPM thing, we are trying to make it more cohesive and not
14 make 50 states all different, so that's -- we are working
15 it, just so -- just so you know, because you're probably
16 a young mom too.

17 MR. MCALLISTER: This is a question for the work
18 group and perhaps for Tom Green. You -- you mentioned
19 that you had someone in to present metrics on IPM
20 adoption and agricultural, and your conclusion was you're
21 good enough. Did it -- did you need to do any more, or
22 is that the conclusion of the work group that ag IPM is
23 already okay, or you were drawing from that experience on
24 how to measure IPM use in other arenas?

25 MR. GREEN: Well, Dave can correct me if I'm

1 wrong, but our -- our conclusion wasn't that IPM and ag
2 was -- was doing okay, but just that workable metrics had
3 already been identified and we didn't need to recreate
4 that wheel. We had a good list of metrics that EPA could
5 use to measure adoption and outcome of IPM in
6 agricultural, they took that out of it.

7 MR. MCALLISTER: I -- I would challenge that,
8 because we do not have the expertise in that group to
9 make a -- a conclusion like that in terms of IPM in
10 agricultural. I think there's a lot of work -- awful lot
11 of work that's been on IPM in agriculture, but we just
12 don't have the people in the room there to make that
13 conclusion.

14 MR. GREEN: Well, I disagree with you, Ray, and
15 maybe we can just compare notes. Really what we're doing
16 was pulling that existing body of work from that national
17 IPM evaluation group that EPA, and the IPM centers, and
18 the IPM coordinators were -- were charged with assembling
19 10 years ago. So really it wasn't the -- the group that
20 was creating -- creating a wheel, it was a presentation
21 of this work that had already been done, that the group
22 published at that time, I'd love to have you take a look
23 at that.

24 MR. BRADBURY: All right. That -- part of the
25 effort, Ray, as I recall, was to -- the group had a

1 charge to take a look at ag, school, I think health care
2 facilities, I'm probably missing something, and -- and
3 we're -- and federal staff working with the -- the work
4 group is just sort of get a sense of where -- where are
5 -- where are we, the big we, in terms of just metrics to
6 -- to measure implementation of success of IPM in these
7 different sectors.

8 And I think some of the conclusion that we made
9 as a -- as a whole work group, given limited resources,
10 were to focus and -- and sort of focus on a school IPM
11 area first, because that's where we were pushing
12 resources as part of -- of the pesticide program and a
13 niche where it -- not that we aren't collaborating.

14 We've heard about working with HUD, now there's
15 -- they're as appropriate in the school systems, but more
16 in a -- in a real EPA domain to -- to be working
17 anywhere, as USDA has a big role in -- in IPM and
18 agriculture, not that we don't work together. So it
19 wasn't so much to -- to -- to do a report card on IPM and
20 ag, it was -- it was trying to figure out where are we in
21 indicators for different sectors and mirroring that up
22 with school IPM being an area of focus for the -- for the
23 group, for EPA at least. Cynthia?

24 MS. PALMER: I'm from American Bird Conservancy,
25 but I'm taking off my bird hat for a moment and putting

1 on my mom hat. As a resident of Arlington County, I'm on
2 the -- the county advisory committee to advise the public
3 schools in pesticide use and other environmental issues,
4 and it's tremendous to see here about -- the progress so
5 far in getting an EPA involvement in the IPM issues. And
6 for us it would be really useful to have a clearing house
7 of best practices and examples of IPM and how it's being
8 done around the country, because we are constantly
9 looking at other jurisdictions and trying to find the
10 best past and lessons learned.

11 MR. BRADBURY: Good. And I think that resonates
12 with -- with some of the efforts the group's taking on.
13 So can I explore a little bit the -- the recommendation,
14 and -- and others can certainly -- and work group members
15 can -- can dive in? So the -- the recommendation is pick
16 a couple of states as pilots and -- and through that --
17 that effort to presumably see a state go to or
18 approaching 100 percent of the school districts having
19 IPM programs with certain characteristics and -- but
20 those are my words, I don't know if they're that work
21 group's words, so it would be helpful to get feedback on
22 -- on that, you know, what would be the outcome of these
23 two state pilots.

24 And I did hear the part about coming up, you
25 know, lessons learned, this tended to work well in these

1 kind of school districts in our state, this didn't work
2 so well, but this works a little differently, here's some
3 of the ways we tracked how we were making progress, that
4 -- that's what I'm hearing, but is it like being able to
5 track a state moving toward the 100-percent
6 implementation?

7 MR. TAMAYO: Well, we just sort of settled on
8 the concept and agreed that we needed to work out, and
9 that's not really even a detail, but, you know, important
10 aspects of that. So, you know, how would -- would -- how
11 would we choose which place, are we going to pick the
12 worst, are we going to pick ones that, you know, just
13 need a little bit of help? We -- we haven't even worked
14 that out, what -- what the criteria are and -- or even
15 what we mean by success yet, so, I mean, I think we're
16 just -- that's sort of the next steps of -- of working
17 that type of thing out. So I think it was actually
18 successful to get the -- the focus of where we're headed
19 now, so -- so now I know why you were laughing.

20 MR. BRADBURY: I was pleased.

21 MR. TAMAYO: Yeah. Okay.

22 MR. BRADBURY: It might be -- I think it would
23 be helpful though to use the full committee, I appreciate
24 Cynthia's observation. So if we -- let's -- now let's
25 hone in on school IPM and the proposals from the work

1 group. I think it would be helpful if members from the
2 -- the full committee have some ideas, some attributes
3 that you think the work group should consider, some --
4 some other attributes of the process, not for us at this
5 meeting to decide for sure, these two states, but nor to
6 necessarily come up with the waiting scheme or whatever,
7 you know, process the work group wants to use, will use,
8 and then report back to us.

9 But if the -- this will be a good opportunity
10 for the work group to hear from all of you what are some
11 of the attributes we should consider, what -- you know,
12 states that have legislation and that requires school IPM
13 and states that don't, states that have a wide range of
14 -- of land -- I'll use the word, ecosystem -- you know
15 human ecosystems from agricultural to heavy -- heavy, big
16 cities.

17 There's a whole bunch of -- of different
18 attributes that could be brought to bear, and I think
19 spending a little time, you know, the PPDC committee
20 going, knock yourself out, work group, you've got carte
21 blanche, or if you think there's some -- some attributes
22 you think they should take into account, this would be a
23 good time to give them some -- some feedback, now we'll
24 leave them alone and let them -- let them work it -- work
25 it through.

1 And if there are work group members that you
2 know from your discussion this morning where you'd like
3 to get some feedback on some of the inputs that you'd
4 like to use, this would be a good time to do that as
5 well. Cheryl/Sheryl?

6 MS. CLEVELAND/KUNICKIS: So I -- I guess I'm
7 honestly a little confused, because I thought the charge
8 a year ago was for this group to come up with metrics for
9 school IPM. I -- maybe my memory's wrong, but it doesn't
10 sound -- it sounds like now, Steve, you're asking us to
11 brainstorm metrics here, so I'd like actually just a
12 little bit of clarification on -- remain me what the
13 charge of the work group is and also how does it relate
14 to the -- the new office, because I would think some of
15 this is being handled there, and also we got that really
16 great presentation from Mark about a year ago, about how
17 you measure IPM in schools, and so he -- I mean, he had a
18 ton of metrics right there, so I just need a little bit
19 more clarification.

20 MR. BRADBURY: So my understand, but work group
21 members correct me, is that using the presentation from
22 last -- the last time we met, was that while not
23 completely done, done, the metrics for -- for evaluating
24 how a school IPM program is moving forward is in
25 reasonably good shape, it seemed like the work group had

1 coalesced. I mean, not 100 percent, but it had coalesced
2 around 90 percent there, 85 percent there.

3 And so my understanding is a work group started
4 to evolve then from, okay, we've got a pretty good handle
5 on what it looks like as school IPM programs are starting
6 to -- to get steam and starting to move forward, how can
7 the work group assist the agency -- now at the new center
8 of expertise with six cooperative agreements going on
9 around the country, how can the work group help in the --
10 in coalescing around the different groups that are out
11 there moving forward and -- and get more towards how can
12 we provide advice to the agency in actually helping it
13 happen and giving you feedback as it's really starting to
14 happen?

15 My sense is that this idea would also be
16 complemented with other things going on either through
17 cooperative agreements that EPA has with the first round
18 of funding, as well as federal first, but this would be a
19 way to try to really target an approach. So it isn't
20 about brainstorming some more about metrics, it's going,
21 okay, we're -- we're -- we're in pretty good shape on
22 what the metrics are, how can we provide some assistance
23 to the agency to start doing it realizing we have
24 different -- different, you know, federal resources or
25 federally-funded resources that can be levered with other

1 groups that are doing things as -- as well? That's my
2 interpretation of what I heard from the work group report
3 out, but I want to make sure that my summary to help with
4 Cheryl's/Sheryl's question is reasonably accurate.

5 MR. TAMAYO: Number three on the work group
6 direction is other issues relating to the promotion and
7 use of IPM that the agency brings to the work group.
8 Now, in our discussion today we were talking about the
9 status of the -- of -- of the -- you know, the metrics to
10 assess effectiveness and we talked about the -- you know,
11 there were -- in the -- in the past report out we -- we
12 had reported that we recommended that there be some work
13 done on identifying the quantitative benefits, and then
14 the -- the discussion warped into how do we promote the
15 -- the adoption of school IPM, and that's -- that's the
16 direction that we headed.

17 You know, the agency was interested in, well,
18 okay, well, we'll -- what are we going to do with this
19 stuff, so that's -- that's what we moved -- moved into,
20 so it's in number three.

21 MR. BRADBURY: Thanks, Dave. So, again, it --
22 we've got two options, one is just let the work group run
23 with it, and that's -- that's an option. I am curious
24 though if the -- first, is the full committee okay with
25 -- with sort of taking the idea of -- of metrics and how

1 to measure benefits, which came out at previous meetings,
2 and using that knowledge, realizing it will probably get
3 tweaked as it -- as it plays out, and having the work
4 group, at least in the school IPM part of the work group,
5 now start to transition toward advice to the agency as we
6 move forward with our ultimate goal in the strategic plan
7 is reaching a day when 100 percent of the school systems
8 in the United States would have school IPM programs and
9 have a certain kinds of characteristics, that is the
10 overall goal of the agency.

11 And to the extend the work group's thinking,
12 okay, now it seems like consistent with the discussion
13 with Tom, and -- and Frank, and Bob, how can the work
14 group start to help in making that happen with the
15 proposal, why don't you start with a couple of states and
16 -- and -- and start to play it out and see how that
17 experience can then be helpful across the other 48.

18 So I'm looking at Janet, I'm looking at Tom, I'm
19 looking at Dave, why don't I just make -- what I'm trying
20 to do right now -- do right now is making sure if I'm
21 speaking for OPP and I'm trying to reflect back what I
22 heard, is that accurate, am I accurate in synthesizing
23 what the work group's recommendation is?

24 MR. TAMAYO: Yes, in my perspective.

25 MS. HURLEY: Yes.

1 MR. TAMAYO: And -- and now, you know, EPA has
2 this fully-staffed center and representatives in each
3 region, so you're really ready to go and start taking
4 some of these -- these ideas and moving forward with
5 them, we're very interested in working with you to do
6 that.

7 MR. BRADBURY: Yeah. Okay. So that was the --
8 the first -- that's good, that reasonably captured the
9 synthesize of the work group, so the next step is full
10 PPDC. I mean, we don't have to raise hands or something
11 like that, but are you all comfortable with that sort of
12 task for the work group and the work group's, you know,
13 primary focus area as we go forward over the next several
14 months working with the agency to -- to now implement
15 that -- that effort?

16 And I'll kind of do it, unless somebody's got a
17 violent disagreement with it, that by and large the --
18 the full committee concurs with that being a task in
19 front of the work group, and I'm opening that up to talk
20 about to the extent it needs to be talked about. Okay.
21 We're good to go.

22 So that will be the -- the -- I know I'm going
23 through this sort of painfully, but it's really important
24 to make sure through the advice process the work group's
25 provided advice, and I want to check and make sure the

1 full committee's okay with that advice. I'm concluding
2 that the full committee is in support of the
3 recommendation of the work group. Good. Ray?

4 MR. MCALLISTER: I guess I'm still a little
5 confused. The -- the group has the metrics now, and --
6 and the -- the next task is go measure IPM adoption in
7 the schools across the country or --

8 MR. BRADBURY: No.

9 MR. MCALLISTER: Okay.

10 MR. BRADBURY: My understanding is the work
11 said, okay, we've got metrics, we know that -- Tom can
12 correct me, but probably the majority of school districts
13 don't have verifiable IPM programs running right now.
14 Our goal is to get to 100 percent, that's challenging to
15 do. Agency, it looks like you've got your center of
16 expertise up and running, you've got 1.1 million dollars
17 of coop money going, you've got another call for
18 proposals going on, now is the time to take the concepts
19 of the metrics and other techniques that are either under
20 development or have been developed and start to make it
21 real across the country.

22 We think picking two states would be a good way
23 to have some pilots, some proof of concept to help launch
24 this and to help be a driver along with other things that
25 are going on, and then you may learn how well your

1 metrics sort of benefits. No, that metric works really
2 well, that metric didn't work so well, but you actually
3 start to exercise the metrics and some of the other
4 techniques that -- that are under development as part of
5 the stepping stone to 50 states having all their school
6 districts with school IPM going on as our big goal.

7 MR. TAMAYO: And -- and just to add to that, so
8 now that we have -- we had this baseline survey data
9 where we used a number of those metrics in the surveys,
10 and so we'll be able to repeat that survey a couple years
11 down the road and measure how well we're doing.

12 MR. BRADBURY: So, Ray, does that work, does
13 that help clarify?

14 MR. MCALLISTER: (Nods head.)

15 MR. BRADBURY: All right. Good. Now I don't
16 want to pound this to death, but if there are some
17 perspectives folks have about picking two states, two out
18 of 50, there's a -- just the variability across 50
19 states. And again I realize that picking the two isn't
20 to be representative of all 50, and nobody's saying that,
21 I know, but having said that, there could be attributes
22 that I'm sure the work group wouldn't mind hearing about
23 from the full committee to the extent anybody's got some
24 ideas right off the top of their head for the work group
25 then to take back in terms of certain characteristics of

1 school districts and states that -- that may be
2 beneficial in terms of the proposals that will come
3 forward ultimately.

4 And there will be some nuance to this in working
5 with the state authorities and stuff as to how we pick
6 this, so I'm not trying to name two states right now, but
7 just hearing about some of the attributes you all think
8 may be important to consider. Sorry, the glasses. Go
9 ahead.

10 UNIDENTIFIED FEMALE: That's fine. So if you
11 want to look at North Carolina, we -- as far as we can
12 tell, we have close to 100 percent adoption. We've got
13 -- we did a policy survey, so we know that about close to
14 100 percent of school have adopted IPM policies. And
15 we've had a good training program with N.C. State, so
16 there's been a lot of training in all those districts.
17 So to look at, I think, a reasonably good success story,
18 that's one example to throw out.

19 MR. BRADBURY: Cheryl/Sheryl?

20 MS. CLEVELAND/KUNICKIS: Well, on the TOX-21
21 sub-work group down into some tracking things, we've
22 dealt with metrics now. Kristie Sullivan's been leading
23 something on metrics for a long time, and the thing we've
24 struggled with is how you track them. So we can come up
25 with metrics all day long, but we're the databases of how

1 are you going to get the information on. So if I was in
2 charge of picking two states, I'd find a subset of
3 metrics that are easy to extract from those states'
4 systems. I mean, it's very practical, but that's what's
5 I'd do.

6 UNIDENTIFIED FEMALE: Can I just interject one
7 thing, and this is from someone who had a law in her
8 state that even with a law it doesn't work so well? Just
9 because they adopt a policy, doesn't mean they're doing
10 it in the school campus. And just because the law is on
11 the books, doesn't mean they're doing it in the school
12 campus, and it could be, it all depends. I mean, if it's
13 a small district and it's rural, you know, nobody's going
14 to come out here and see me, who cares. There will be
15 some other things, but this -- I will say this, this
16 gives us encouragement that there are several different
17 work groups going on with IPM.

18 I am hoping, and I'll just go ahead and
19 interject, Bob McNally, I'm going to probably be
20 approaching you via our steering committee making more
21 synergizing, working together, how do we do this before
22 we go forward. I mean, there's lot of states out there.
23 And there may be a state out there that's going to just
24 jump on this and go, oh, pick us, because we want to go
25 forward, and there's others that are going to go, don't

1 come near us, because you can't tell us what to do, so
2 understand that.

3 I mean, there is a lot of diversity out there.
4 While we've had some really good results come out, as a
5 matter of fact, I was kind of shocked at the results that
6 Tom, in the IPM Institute, got for the -- the school IPM
7 survey, but, you know, overall it wasn't bad. But,
8 again, the hardest part, and I know, because I've done
9 the surveys myself, is when you go back and spit -- if
10 you were to cherry-pick schools, you know, randomly go in
11 and just look at stuff, it's a whole different thing. So
12 we've got a -- just so you all know, we do really have
13 our work cut out for us. Dr. Bradbury's making it sound
14 so easy, not so much.

15 MR. BRADBURY: Brian and then Tom.

16 MR. ROWE: I just offer to the work group and
17 EPA as well that right now states are negotiating the
18 2014 grant commitments, and within those grant
19 commitments are electives to work in school IPM programs.
20 So if there's a way to reach out through the regions and
21 offer up an opportunity, timing is right now.

22 MR. BRADBURY: Good point. Good point, thanks.
23 Tom and then the other Tom.

24 MR. DELANEY: I'd -- I'd like to see the survey
25 questions and -- and look at the survey information,

1 because I think you need to use some of that in -- in
2 working with what states you're going to -- to pick,
3 because, I mean, resources in the state, there may be the
4 will and they don't have the budget to do it, so you've
5 got to -- you know, got to look at a lot of perimeters
6 before you end -- end up -- and -- and trying to find out
7 what you want to do with that results, you know, you want
8 to see how far you can move with one or -- you know, I
9 there's -- there's a lot to be involved before you pick a
10 state.

11 MR. BRADBURY: Tom?

12 MR. GREEN: So a couple comments to -- to
13 Cheryl's/Sheryl's point. We did that with our survey, we
14 kind of boiled the survey down to what are the key,
15 fairly-readily measurable indicators, and those were what
16 I mentioned before, IPM coordinator, IPM plan, IPM
17 policies.

18 And then when we actually do work in schools and
19 then recruit schools to participate in what we call
20 coalitions, school districts working to implement IPM, to
21 get to another level of metrics that are harder to
22 measure and the people need support so that we get good
23 data back from them, those are things like a number of
24 the testing plants, and pest management costs, and a
25 number of pesticide applications, and types of pesticide

1 applications, were they baseboard sprays where you're
2 likely to get exposure, versus state applications, so we
3 can get both levels of data depending on how closely
4 you're working with the -- the school. And then I think,
5 to Tom's point, that that's really important.

6 So we can -- we can share our survey data more
7 or less privately, but we've committed to those in the
8 states that helped us implement the survey not to publish
9 the results, no pointing fingers at states that aren't
10 doing so well, so we have shared those results with EPA
11 and are sharing those with people who are in a position
12 to make a difference.

13 And we do have some of those states that are
14 very much down at the bottom of the pile in terms of
15 performance, and the hope is that with EPA engagement and
16 the resources that EPA is bring to bear in terms of -- of
17 people and dollars, that we can put some of that
18 infrastructure in place in those states, because that's
19 the reason why they're at where they're at, and we're not
20 going to make progress unless we can bring that to bear.

21 And I think with EPA's resources now, that we
22 have the potential to educate state lead agencies and
23 others in a state that's not doing well that they've got
24 an opportunity and should make some investments to get
25 the people in place to get the job done.

1 MR. BRADBURY: Okay. So I think I've got what I
2 need in terms of next steps. The -- the point about the
3 funding cycles for the state grant is -- is very
4 important, a -- a good point, and we need to try to
5 factor that into the time frames we're operating under.
6 So work groups meet, you know, in between, they don't
7 always wait until the day before the PPDC meeting to get
8 together.

9 You guys do lots of teleconferencing and things
10 like that, so Bob, and Frank, Tom, I would ask you to --
11 to reconvene the work group soon, like real soon, and
12 continue this conversation in terms of how to think about
13 attributes for -- for piloting that, we'll try to see how
14 well we can match it into some of the -- the funding
15 cycles that the state grants are playing out. I can't
16 guarantee you we can line that up just perfect, but we
17 might be able to find some -- some win-win situation.

18 I'm trying to balance sort of how to do this
19 proposal with the full PPDC, and looking at time windows
20 to make things happen, and, frankly, being respectful of
21 this -- whatever states that could seem like good
22 opportunities. There's a respect to the state government
23 and -- and the appropriate levels of the state government
24 to -- to work through this interaction, and I haven't
25 quite figured out how to do that yet. It doesn't mean

1 it's insurmountable, but there is appropriate steps to
2 take to do that.

3 So if the -- the work group could -- could meet
4 soon and start talking about some of the attributes,
5 because some of the things I'm thinking is that while we
6 may not -- we may wait until the next full PPDC meeting
7 to talk through what some of the choices would be for the
8 two pilots. Given what's going on with the six
9 cooperative agreements, which -- which are in, I don't
10 know, probably 12 different states when you add it all
11 up, because we've got cooperative agreements with
12 University of Florida, which is dealing with Florida, and
13 parts of Georgia, and parts of Alabama.

14 We've got cooperative agreements with Ohio State
15 and Indiana, so we've got Ohio and Indiana in play with
16 the cooperative agreement. And there's a cooperative
17 agreement with Colorado State, which is -- which is a
18 partnership between Colorado State, Colorado, and the
19 Salt Lake City school districts. Cooperative agreement
20 with University of Washington, which is a collaboration
21 with Oregon State University, so we've got Washington and
22 Oregon in play.

23 So we have a number of states in play through
24 the cooperative agreements, we've got activities going on
25 in some of the specific regions with their regional FTE

1 effort in states that they may be working in, so there
2 could be ways to take some of these ideas and just nudge,
3 nurture, boost what's already going on through the
4 cooperative agreements or through some of the federal
5 efforts with other partners in other parts of the federal
6 government or state government, so there may be ways to
7 start making some things happen that way.

8 And then when we come back four, five, or six
9 months from now, kind of take that pilot concept and --
10 and -- and play it out. But some of ideas that are
11 playing out in the work group may be able to start to
12 play out through cooperative agreements or other
13 activities that are ongoing in some other states. I
14 don't know yet, but that's something that we may be able
15 to take advantage of, because I am -- I like the idea
16 about waiting six months before we meet again to actually
17 do it. I don't want to lose good ideas, given what we've
18 already got investments in now. Every day those dollars
19 tick, tick by, and we don't want to -- don't want to
20 waste them. So I'd like Dave to go ahead.

21 MR. TAMAYO: Well, I encourage you, unless the
22 -- you know, the -- and -- and there doesn't seem as
23 though the -- the full PPDC objects to the concept, and
24 the recommendation is really mainly the concept. And
25 we've offered up that we could continue to give advice on

1 what the -- the shape of it would be, but I -- I -- I --
2 I would discourage you from saying, oh, well, we kind of
3 have to wait and bring the -- the implementation stuff
4 back to the PPDC, because it will never get anywhere if
5 you -- if you -- if you -- if we have to -- you have to
6 weigh in on every implementation step, so the -- that
7 would be my suggestion on how to take the advice.

8 MR. BRADBURY: You picked up my signal, so what
9 -- what I'd like to do is use the advice from the work
10 group and see how we can take advantage of -- of those
11 ideas, the concept of a pilot, the concept of certain
12 attributes, realizing we've got -- we're on the ground.
13 Not we, we, but with our cooperators and all other
14 partners that aren't necessarily part of these coops
15 where there may be ways to just start to help accelerate,
16 or advance, or get feedback from the work group in areas
17 we're already working on.

18 Having said that, the idea I was thinking about,
19 picking two states and -- is -- is a good idea, but we
20 don't have to wait to get that all figured out for some
21 of your ideas from the work groups to start to get
22 implemented in places we're already on the ground. So I
23 think between Dave and I we've sort of nudged the
24 recommendation a bit, but I don't -- looking around the
25 table seeing -- Tom, go ahead.

1 MR. GREEN: Isn't it to be somewhat tied to
2 grant money in -- in what's the criteria for you picking
3 those states that's going to get the grant money, and
4 wouldn't you be tying some of that together?

5 MR. BRADBURY: Well, we already have existing
6 cooperative agreements that were -- as Marty said, were
7 awarded in 2012.

8 MR. GREEN: Oh.

9 MR. BRADBURY: Those are the -- those were the
10 universities and partners I just went through, University
11 of Florida, Ohio State --

12 MR. GREEN: Okay.

13 MR. BRADBURY: -- and Indiana, Colorado State,
14 and Salt Lake City school districts, State of Wisconsin,
15 Washington --

16 MR. GREEN: Okay.

17 MR. BRADBURY: -- and --

18 MS. MONELL: Oregon.

19 MR. BRADBURY: -- and Oregon State. So those --
20 those are already funded with the notion of pushing into
21 specific school districts, if not entire states. So some
22 of the feedback from the work group could help in that
23 partnership, some of the feedback from the work group
24 could help in how we move beyond --

25 MR. GREEN: Well --

1 MR. BRADBURY: -- beyond that.

2 MR. GREEN: Well, are you going to compare those
3 states with results that you got back from your survey,
4 to look at those specific states in your survey?

5 MR. TAMAYO: Yeah, we'd have that potential to
6 do that. So what we talked about in more detail this --
7 this morning was that we've got a proven model, to take a
8 state and move it forward, and that's by getting all the
9 players at the table, showing them benefits of IPM,
10 showing them that they're, you know, way down the curve
11 in terms of adoption, recruiting some pilot school
12 districts to do demonstrations, make IPM happen there
13 using experts from outside to support folks in the state,
14 and then building from that using a coalition model where
15 essentially those demonstration school districts then
16 recruit their peers that participate in the coalition
17 that gets together on a regular basis and supports the
18 other districts that build their program.

19 And then the -- the ultimate is having an FTE in
20 the state, like Texas has in -- in Janet, to keep the
21 ball rolling, and potentially having some legislation as
22 well to support the idea that those working in schools
23 and doing test management need to have ongoing training
24 for doing test management in that environment, both on
25 the buildings and the ground side.

1 And we've talked about this morning too, for
2 your particular interest, of how often the focus in the
3 IPM programs has been structured. And -- and there's a
4 bigger land of opportunity in the grounds and athletic
5 fields as well where you have a diverse cast of
6 characters that are -- are doing test management,
7 including coaches, including parents, and others.

8 MR. GREEN: And a good number of our members
9 have contracts in school systems and stuff to do either
10 sports fields or the general area there.

11 MR. TAMAYO: Yeah. And we did ask that question
12 on our survey, and we have to share that, those results
13 with you.

14 MR. BRADBURY: Okay. So I've got a pretty good
15 image in my mind. What I'd like Bob to do is -- and
16 which I know he's been jotting things down, he's been
17 known to track my verbal musings and reasonable capture
18 them. So, Bob, if you can pull that together and, as
19 needed, work with some members of the work group and sort
20 of share sort of this discussion and see if the work
21 groups got the reasonable reflection. And we'll use
22 tomorrow, before we wrap up, as we kind of go through and
23 summarize what we've done just to -- to verify what our
24 game plan is, because I realize there's a lot of
25 dimensions to this, which we all know, but this, I think,

1 gives us some focus of how to take advantage of what
2 we're already doing and think about some opportunities
3 for the future.

4 And the -- the big message is, we kind of know
5 what the metrics are, we've had some experience in
6 starting a program off, tracking how well it's going,
7 getting to where it goes, needs to go. We've got
8 resources now in the agency, some already invested, some
9 that will be invested with the next round of grants, this
10 is a time for the work group to give us advice on
11 insuring that we're maximizing what we can accomplish in
12 setting the stage for others to start to get into it.

13 Clearly at the end of the day the -- the measure
14 of success in my mind is not that EPA disappeared in
15 school IPM, but that, in fact, it becomes a sustainable
16 part of just how you operate a school district, because
17 it must makes sense. If you're doing your energy work,
18 if you've got leaky windows or door jams that don't work,
19 you need to fix those to keep the heat on the inside or
20 the coolness on the inside. And when you do that, you'll
21 probably keep an -- an entry for pests, you're cutting
22 that down too, so you've spent a buck and you've got two
23 things done with one buck.

24 And so part of working through this is to just
25 have a goal, this just gets integrated into the efficient

1 way a school district runs. So you maximize your dollars
2 for teachers, and books, and -- and learning, and -- and
3 -- and by doing that you've maximized your dollars for
4 energy efficiency and all sorts of other things that --
5 that are correlated with effective management of -- of
6 pests, that's my spin on it and that's where we need to
7 go, to self-sustaining systems.

8 So Bob will capture sort of the game plan, we'll
9 make sure we check back in tomorrow before we close down
10 to make sure that that's working okay. And I encourage
11 work group members, and Bob, and Tom, and Frank, if you
12 need to caucus a little bit this evening or in the
13 morning before we start, to -- to do that, I think that
14 would be good.

15 Okay. So why don't we close down this session
16 and we'll move into the last session for the afternoon,
17 which Rick Keigwin and Betsy Behl are colleagues from OPP
18 at the time and now in the Office of Water, and give you
19 an update on where we are in terms of communicating
20 benchmarks for pesticides in drinking water supply. And
21 again, I want to thank the previous work group for the --
22 for the lot of effort over the last several months. So
23 Rick and Betsy, I'll turn it over to you.

24 MR. KEIGWIN: Good afternoon again. For many of
25 you, this is -- will serve as an update that Betsy and I

1 gave you all a couple of years ago now before OPP and the
2 Office of Water launched this effort. For -- for others
3 of you, this may be new and so the presentation that
4 we'll give tries to encompass everything that we've been
5 doing to date over the last couple of years.

6 We've been doing this set of presentations now
7 to a diverse group of stakeholders over the past couple
8 of months, and we've generally been getting some very
9 good feedback as we move forward, and we're looking
10 forward to hearing your thoughts on this as well.

11 So if we go to slide three, the -- the idea
12 for developing these benchmarks initially came about as
13 part of Lisa Jackson's drinking water strategy that was
14 announced in March of 2010, and that strategy had four
15 basic elements that are listed up here on the slide to
16 look at, contaminants as a group, rather than working on
17 each contaminant singularly; to foster development of new
18 drinking water treatment technologies and advance the
19 paradigm in that regard; where the human health benchmark
20 piece very much fits into it, this third element, which
21 is looking for opportunities to utilize multiple EPA
22 statutes to help protect drinking water, so in our case
23 utilizing FFDCA, FIFRA, combined with the Safe Water
24 Drinking Act; and then the fourth piece was focused on
25 partnerships with states to enhance the sharing of

1 monitoring data from public water systems back to EPA.

2 In many respects these benchmarks are modeled
3 after the aquatic-life benchmarks that OPP has been
4 developing over the past several years, very much in line
5 with the work that the Office of Water does under the
6 Clean Water Act when they move forward to establish
7 aquatic-life benchmarks. So just like we do now for
8 pesticides where there's not an aquatic-life benchmark,
9 we establish aquatic-life -- I'm -- where there's not an
10 aquatic-life criterion, we establish a benchmark.

11 Similarly here the intent is to develop a
12 benchmark for pesticides in drinking water when there's
13 not already one in existence, MCL, maximum contaminant
14 level, or a health-advisory level under the Safe Drinking
15 Water Act. And as we were in the process of developing
16 these, I think it's helpful to note that we actually
17 received a request from several state departments of
18 agriculture, because of the success of the aquatic-life
19 benchmarks' program, to try to port that over upon the
20 human health side.

21 Next slide, please. So what are the -- the
22 benchmarks? There is screening levels -- drinking water
23 or screening level standards for levels of pesticides in
24 drinking water, and they are based upon both acute and
25 chronic toxicity values. These values to date have been

1 derived by using the data reviews that the Office of
2 Pesticide Programs does as part of our registration or
3 re-evaluation work of -- of the hazard data, coupled with
4 the methodology that the Office of Water uses when
5 they're developing a health-advisory level, and to date
6 all of these benchmarks have been developed only for
7 food-use pesticides. As you all know, food-use
8 pesticides have the most robust toxicological database
9 and they're -- they're easier, if you will, to use in
10 developing these benchmarks.

11 As I mentioned earlier, we're not establishing a
12 benchmark where there's already an MCL, or an MCLG, or a
13 health-advisory level in place, the Office of Water has
14 already done that work, and they're not enforceable
15 standards. They're not limits, they're really meant to
16 be for informational purposes.

17 We've heard, for example, from a number of
18 states that -- that they -- when they get a request or
19 they receive some monitoring information, they use these
20 as a reference point to see whether or not they need to
21 do further investigation, but it's not intended to be
22 used as a mechanism for triggering an enforcement case.
23 It's not intended to be used for determining safety, it's
24 really meant to be used as that first step in the process
25 to see if any further evaluation needs to be done based

1 upon the monitoring information that's been found.

2 Next slide, please. So as I mentioned, last
3 year we released the first set of these benchmarks, they
4 covered about 352 food-use pesticides and they covered,
5 as I mentioned earlier, both benchmarks for acute and
6 chronic effects. However, at the time we had not focused
7 on carcinogens, per se, overall the response has been
8 very positive. And, in fact, subsequently we linked this
9 information to an effort within the OECD, and these
10 values are also available not only on the EPA website at
11 the -- at the link provided here, but they are also
12 available through the OECD temporal, you can see that.

13 Well, next slide. When we released these, we
14 committed to providing periodic updates with a goal of
15 once a year, but we've committed to periodic updates at
16 this point. So what we have done for this first update
17 is we have updated all of the benchmarks based upon the
18 current case of OPP's reviews of the hazard data. As a
19 result of that, we've added benchmarks for nine
20 additional newly-registered pesticides and we've updated
21 ours for two of the existing pesticides.

22 What's particularly new here is that we have
23 added benchmarks based on carcinogenicity for 40
24 pesticides, these are 40 pesticides that have cancer
25 smoke factors Q-1 stars. There may be other pesticides

1 that are regulated through a threshold mechanism for
2 cancer, and those would have been captured through the
3 chronic benchmarks that we established last year. And as
4 I mentioned, we're -- throughout this process have been
5 seeking stakeholder input as we move forward.

6 To give you an idea who we have spoken to, on
7 slide seven, we have met with Sheryl and her staff at
8 USDA, we've met with a U.S. geological service, a number
9 of state organizations that provide input to both the
10 pesticide program, as -- as well as the water programs,
11 we're meeting with you all today, we did a briefing a
12 couple of weeks ago for CropLife America, and then we've
13 also done some briefings for NRDC, as well as some other
14 non-governmental organizations. And our goal was to
15 complete all of this outreach by the end of last month,
16 we took advantage of PPDC being this week, and so I
17 think, as I mentioned earlier, you all are our last group
18 that we're intending to meet with as we move forward.

19 Slide eight, for those of you in the back that
20 don't have the slides, this -- this is impossible to read
21 and it may even be difficult for those of you who have it
22 on paper, but this is just a representation of what you
23 would find when you came to the webpage. Basically you
24 can search on the chemical, you can search on the
25 Chemical Abstract Service, CAS, number, and then it

1 provides the -- where we have one, the acute reference
2 dose from the Office Of Pesticide Programs' review, what
3 the resulting human-health benchmark is on an acute or
4 one-day basis, and what the reference population of
5 concern is. And similarly for chronic and then where
6 there is a cancer-slope factor, what the benchmark would
7 be for cancer.

8 Now, what these values do not include in setting
9 the benchmark is if OPP applied a Food-Quality Protection
10 Act safety factor, is that something that we use in our
11 decision-making process under the Federal Food, Drug, and
12 Cosmetics Act. It is not a consideration that the Office
13 of Water uses when setting a health-advisory level or an
14 MCL under the Safe Drinking Water Act. But for
15 transparency and for assistance, you will see in this
16 chart some footnote for individual chemicals where there
17 may be a safety factor for FFDCa purposes, and so that's
18 noted here as well.

19 The other thing that's not represented in this
20 table, but is also available, I believe, is that the --
21 the web version of this also allows you to link into the
22 Office of Pesticide Programs' toxicology review for that
23 chemical so that you not only see the value, but you see
24 the data, and you see the dose response, you see the --
25 the data-evaluation records that OPP generated in, in

1 helping the Office of Water in the development of the
2 benchmarks.

3 So slide nine, just to summarize, we have new
4 non-cancer information for about 11 pesticides for adding
5 benchmarks based upon cancer considerations for 40 of
6 those pesticides, bringing the total number of benchmarks
7 to about 363 chemicals. Our plan, taking into account
8 all the feedback that we received from you all today, as
9 well as the feedback that we've received to date from
10 other stakeholders, is to proceed with briefing-up our
11 respective management with a goal of releasing this
12 update later this summer. So that covers slides nine and
13 ten, and with that we'll take questions.

14 MR. BRADBURY: Any questions? Mike?

15 MR. WILLETT: Can you give me an example as to
16 how this is used, how this would be used, or how the
17 benchmarks are used by -- in a -- in a real-world
18 attempt?

19 MS. BEHL: Yeah, I can give you two examples.
20 We've heard from one state that they've used this kind of
21 information to evaluate their state monitoring data and
22 prioritize monitoring resources. So, for example, if
23 they're monitoring for some compound that's been found
24 only at levels, I'm making this up, orders of magnitude
25 below any of the risk levels, any of the tox thresholds,

1 but they haven't monitored for some of the other
2 compounds that are used in their state, they may decrease
3 monitoring for that one and go look -- look to meet the
4 -- that's one way I've heard it used.

5 And another way is, you know, when federal
6 agencies working in -- in collaboration with state
7 agencies produce monitoring and there's -- so there's the
8 release of monitoring data from a state. In -- in order
9 to communicate risk communications with their -- with the
10 public, they've used this kind of information, this is
11 too.

12 MS. CLEVELAND/KUNICKIS: You -- you know, is
13 that one way for -- for EPA to address something?

14 MR. BRADBURY: Cheryl/Sheryl and then Mark.

15 MS. CLEVELAND/KUNICKIS: Okay. The -- the
16 links, I think, are really important to be able to
17 understand where the information came from and we could
18 watch out any time you are to post links, they lag if you
19 don't have a plan to keep them updated.

20 MR. BRADBURY: Right.

21 MS. CLEVELAND/KUNICKIS: So I hope there's a
22 good IT plan in place. And the -- the question is when
23 you start posting things for cancer, you could possibly
24 start to get questions when you get -- one time hit that
25 cancer, do -- do -- do the states understand that cancer

1 is for a lifetime, not a -- a one-time blip, and -- and
2 how much communication has gone into that?

3 MS. BEHL: I -- I believe they do understand
4 that, but we have two --

5 MS. CLEVELAND/KUNICKIS: No, I --

6 MS. BEHL: -- updates --

7 MS. CLEVELAND/KUNICKIS: -- I get it.

8 MS. BEHL: -- that accompanied the release and
9 are available on the website --

10 MS. CLEVELAND/KUNICKIS: Yeah.

11 MS. BEHL: -- that really -- updates of what you
12 see there now. So if you want to see what I'm talking
13 about, you could click on the link that Rick pointed to
14 and you'll find a general fact sheet that talks about all
15 the benchmarks.

16 MR. KEIGWIN: No, it's -- it's mostly minor
17 things --

18 UNIDENTIFIED MALE: Okay.

19 MS. BEHL: Now you find a extra fact --

20 MR. KEIGWIN: -- into the rule making, because
21 that's --

22 MS. BEHL: -- that goes into a lot more detail
23 about --

24 MR. KEIGWIN: -- yeah.

25 MS. BEHL: -- how the were calculated and the --

1 what they're meant to be.

2 MS. CLEVELAND/KUNICKIS: Okay.

3 MR. KEIGWIN: Sorry, I got out of control there.

4 MS. BEHL: And hopefully --

5 MS. CLEVELAND/KUNICKIS: Yeah, I think that's
6 great.

7 MS. BEHL: -- and we've done everything we can
8 think of to make that, and they've gone through many
9 rounds of review with pesticide program communications'
10 people and our communications' people to hopefully get
11 them effective.

12 MR. BRADBURY: Thanks. Folks on the phone, if
13 you could make sure your phone's muted. Mark and then
14 Brian.

15 MR. WHALON: Thanks. I was just curious about
16 assessing the stakeholder feedback, what -- what you're
17 planning there, and -- and are -- are you actually
18 measuring your risk communication or actual detection
19 levels?

20 MR. KEIGWIN: I think the stakeholder feedback
21 that we've been focusing on is, one, the value of these
22 and -- and the usability, utility of these, accessibility
23 of the data. I think we want to learn over time how
24 states and others are utilizing this information, because
25 we want to make sure as we're developing this and

1 devoting resources to it that it -- we can use to serve a
2 purpose, it has -- the stakeholder engagement to date has
3 not focused on sort of the measurement aspect that I
4 think that you're getting at.

5 MS. BEHL: One thing to add is we did share that
6 general fact with -- the cancer information with all of
7 the groups that we met with, and we got some feedback on
8 sentences I thought were confusing, we got some feedback
9 on the formatting of the table, and we tried to, you
10 know, fix that and some of the titles, so I think we have
11 -- we've heard a lot from stakeholders and we did our
12 very best to try to clarify links, communications, and
13 materials as a result. We didn't hear from anybody
14 anything negative. In fact, we heard a lot of very
15 positives from stakeholders, so there's nothing really
16 that would give us pause, and it's been out there for a
17 year.

18 MR. BRADBURY: Brian and then Jerry.

19 MR. ROWE: Two questions. When you talk about
20 363 pesticides, are you talking active ingredients at
21 that level?

22 MR. KEIGWIN: Right.

23 MR. ROWE: Okay. Thanks, I -- I guess I didn't
24 understand that initially. And then secondly, has --
25 your discussion with USGS, will that have any affect or

1 change on the standard analysis that they're running for
2 the variety of pesticide they're looking for, are they
3 adding anything to their list as a result of this?

4 MS. BEHL: No, they're -- they're -- they're --
5 not that I'm aware of. I think they have their own
6 prioritization process for that, they have in the past.
7 And this is one of the feedbacks that we got from several
8 different groups, they have had something very similar to
9 this called a health-based screening level, HBSL, that
10 they developed for the very thing for -- that we
11 developed this, one of the people asking us to do this
12 originally.

13 MR. WHALON: Right.

14 MS. BEHL: And so we've been communicating with
15 them about how to move forward so we don't duplicate that
16 effort and, you know, that's the main -- they are -- they
17 are thrilled that we're doing this so they don't have to
18 keep it up, that's the main feedback we got.

19 MR. BRADBURY: Jerry?

20 MR. BARON: There's been a concern expressed to
21 the speciality-crop stakeholders out there that some
22 drinking-water assessments are causing unrealistic
23 contributions to the risk crop and some speciality-crops'
24 uses may be vulnerable in the future. I was wondering if
25 these values were causing that to occur, or am I mixing

1 apples and oranges here?

2 MR. KEIGWIN: Yeah, I think that's a little bit
3 of -- I think what you're referring to are the -- the
4 exposure calculation that are developed -- that are
5 derived in developing the -- the aggregate risk numbers
6 to support the tolerance setting. What these are, are --
7 are really only looking at the -- the tox values, the
8 hazard values from the toxicity information and then
9 running them through a methodology if -- as if the Office
10 of Water were to create a health advisory level, but
11 they're not sort of reinforced by a referenced, again,
12 available modeling or monitoring data.

13 MS. BEHL: Right, there's no exposure
14 information to estimate risk or drawing conclusions like
15 that. And the other thing I -- Rick said it, but I think
16 it's worth saying twice, is that the values that are in
17 this table are based on the most-recent, peer-reviewed,
18 publicly-available Office of Pesticide Programs with risk
19 assessments --

20 DONNA: Hello, Donna speaking.

21 MS. BEHL: -- system for --

22 DONNA: Hello. Louis, hello.

23 MS. BEHL: -- it's your phone.

24 MR. BRADBURY: If -- folks on the phone, you
25 have to mute your line, please. Go ahead, Betsy.

1 MS. BEHL: Right, so I just wanted to reiterate
2 that, and that -- and that -- there's a hot link to that
3 particular risk assessment we're referring to.

4 MR. KEIGWIN: Just to close the loop on that
5 Jerry, these values are not what are being used in -- in
6 developing the actual risk assessment to support a new --
7 establishment of a new tolerance.

8 MR. BRADBURY: Mae?

9 MS. WU: Hi, thanks for the briefing that you --
10 I know we've talked about this before, but also to try to
11 remind myself, can you give me a sense of what -- how
12 much do you have that's not in here yet and maybe what --
13 what the areas or the challenges are to getting, like,
14 everything that you have into it, like for the pacing,
15 you know, or on the -- it could be faster. I'd be
16 happier with it if they were faster, so I'm just curious
17 what kind of -- in the way of getting more in there
18 quickly.

19 MR. KEIGWIN: Well, we are -- one of the areas
20 that we're exploring are our ability to develop these for
21 non-food-use pesticides and we're -- we're thinking about
22 that right now. You know, I've -- you know, food-use
23 pesticides have a -- a much fuller toxicity database, and
24 so what types of considerations would we need to take
25 into account something that isn't --

1 MS. WU: Um-hum.

2 MR. KEIGWIN: -- a food-use. But we understand
3 that on -- at times non-food-use pesticides could be
4 found in drinking water sources as well, so that's one of
5 the areas that we're working --

6 MS. WU: Um-hum.

7 MR. KEIGWIN: -- looking through.

8 MS. BEHL: Yeah, and we're -- we've -- we've
9 gotten requests to look at degradates with pesticides,
10 it's all really dependent on what data are available.

11 MS. WU: Um-hum.

12 MS. BEHL: And if you have ideas about those
13 sort of categories or compounds that, you know, there's
14 data for, and that's some other way of thinking about it,
15 and we haven't thought about it yet. That would be
16 obviously not this year, we're done for this year, but it
17 helps with subsequent years. And I think 363 is a big
18 number.

19 MS. WU: And is that -- like what percentage of
20 the universe?

21 MR. KEIGWIN: You know, that's -- I would say
22 for conventional pesticides, that's a very large
23 percentage of -- of the universe that's used. Consider
24 that for a registration review there are about -- across
25 biopesticides, biochemicals, anamicrobials, the

1 conventions, it's about, I don't know, 1,100 active
2 ingredients, but they're -- these are really cases of
3 active ingredients and there are only about 750, but
4 already that's already half of the pesticides. And I
5 think it's a very large percentage of the conventional
6 pesticides, I don't think --

7 MS. WU: Um-hum.

8 MR. KEIGWIN: -- that there are many
9 biochemicals, or biopesticides, or any anamicrobials.

10 MS. WU: Okay.

11 MR. BRADBURY: Any other questions, feedback?
12 Okay. All right.

13 MS. BEHL: All right.

14 MR. BRADBURY: Betsy, thanks a lot. So we'll --
15 we've hit our agenda items for the day, so we all get an
16 extra half an hour of our busy day. So I want to thank
17 everybody on the panel, good discussion, and we'll start
18 off tomorrow morning at 9:00. And see you all then at
19 9:00, so thanks a lot and have a good evening. Oh, yeah,
20 and I didn't do public comment, because Margie told me
21 she didn't have anybody that had public comment, so sorry
22 about that.

23 (Whereupon, the meeting was
24 adjourned.)

25 - - - - -

1 CERTIFICATE OF TRANSCRIBER

2
3 I, Connie M. Leonatti, do hereby certify that
4 the foregoing proceedings were transcribed by me via
5 compact discs provided to me; that I am neither counsel
6 for, related to, nor employed by any of the parties to
7 the action in which these proceedings were transcribed;
8 that I am not a relative or employee of any attorney or
9 counsel employed by the parties hereto, nor financially
10 or otherwise interested in the outcome of the action.
11
12
13
14

15 _____
16 Connie M. Leonatti, Transcriptionist
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Transcript of Meeting of
Pesticide Program Dialogue Committee
Conference Center
2777 Crystal Drive
1 Potomac Yard South
Arlington, VA
July 10-11, 2013

ATTENDANCE LIST

1
2
3 Steven Bradbury, Ph.D. Chair, Director, Office of
4 Pesticide Programs
5 Office of Chemical Safety and
6 Pollution Prevention
7 Margie Fehrenbach Designated Federal Officer
8 Office of Pesticide Programs
9
10 Jim Jones Acting Assistant Administrator
11 Office of Chemical Safety and
12 Pollution Prevention
13 Sarah Bittleman EPA Agricultural Counselor
14 Marty Monell Deputy Director
15 Office of Pesticide Programs
16 Richard Keigwin Director, Pesticide
17 Re-evaluation Division
18 Office of Pesticide Program and
19 EPA
20 Helen Golde Deputy Director, Office of
21 Protected Resources, NMFS
22 Robert McNally Director, Biopesticides &
23 Pollution Prevention
24
25

ATTENDANCE LIST (cont'd)

1
2
3 Betsy Behl Director, Health & Ecological
4 Criteria Division
5 Office of Water
6 Rose Kyprianou EPA, Office of Pesticide
7 Programs, Field and External
8 Affairs Division
9 Jennifer McLain, Ph.D Deputy Director, Office of
10 Pesticide Programs
11 Antimicrobials Division
12 Mary Manibusan Director, Exposure Assessment
13 Coordination & Policy Division
14 Office of Science Coordination
15 and Policy
16 Lois Rossi Director, Office of Pesticide
17 Programs, EPA, Registration
18 Division
19 Jerry Baron Executive Director, IR-4
20 Princeton, NJ
21 Steven Coy National Honey Bee
22 Advisory Board
23 American Honey Producers
24 Association
25

ATTENDANCE LIST (cont'd)

1
2
3 Richard Bireley California Department of
4 Pesticide Regulations
5 Dave Epstein USDA, Office of Pest
6 Management Policy
7 Washington, DC
8 Cindy Baker-Smith Senior Vice President
9 American Vanguard Corporation
10 Director of Global
11 Regulatory Affairs
12 Tom Delaney Director of Government Affairs
13 Professional Landcare Network
14 Lilburn, GA
15 Douglas Hanks National Potato Council
16 St. Anthony, ID
17 Gabriele Ludwig Associate Director
18 Environmental Affairs
19 Almond Board of California
20 Modesto, CA
21 Scott Schertz President
22 Schertz Aerial Service, Inc.
23 Member of National Agricultural
24 Aviation Association
25 Hudson, IL

ATTENDANCE LIST (cont'd)

1
2
3 Andy Whittington MS Farm Bureau Federation
4 Brandon, MS
5 Dr. Mark Whalon Upper Midwest's
6 Horticultural Crops
7 East Lansing, MI
8 Michael Willett, Ph.D. Vice President for
9 Scientific Affairs
10 NW Horticultural Council
11 Minor Crop Farmer Alliance
12 Yakima, WA
13 Patricia Bishop Research Associate
14 People for the Ethical
15 Treatment of Animals
16 Norfolk, VA
17 Nichelle Harriott Beyond Pesticides
18 Washington, DC
19 Fawn Pattison Executive Director
20 Toxic Free North Carolina
21 Raleigh, NC
22 Cynthia Palmer Birds and Pesticides
23 Program Manager
24 American Bird Conservancy
25 Washington, DC

ATTENDANCE LIST (cont'd)

1
2
3 Mae Wu Program Attorney
4 Health & Environment Program
5 Natural Resources
6 Defense Council
7 Washington, DC
8 Valentin Sanchez Community Educator
9 Oregon Law Center's
10 Indigenous Farmworker Project
11 Virginia Ruiz Senior Attorney
12 Farmworker Justice
13 Washington, DC
14 Tom Green IPM Institute
15 Bloomington, IN
16 Dr. Matthew Keifer Senior Research Scientist
17 Professor of Occupational
18 and Environmental Medicine
19 National Farm Medicine Center
20 Marshfield Clinic
21 Marshfield, WI
22 Dr. James Roberts Associate Director, Pediatrics
23 Medical University of
24 South Carolina
25 Charleston, SC

ATTENDANCE LIST (cont'd)

1
2
3 Janet Hurley Extension Program Specialist
4 AgriLife Research and
5 Extension Center
6 Dallas, TX
7 Cheryl Cleveland, Ph.D Consumer Safety, BASF
8 Research Triangle Park, NC
9 Susan Ferenc, DVM/Ph.D Associate Director of
10 President, Council of
11 Producers & Distributors of
12 Agrotechnology
13 Washington, DC
14 Beth Law Assistant General Counsel]
15 and Vice President for
16 International Affairs
17 Consumer Specialty Products
18 Association
19 Washington, DC
20 Ray McAlliser Senior Director
21 Regulatory Policy
22 CropLife America
23 Washington, DC
24
25

ATTENDANCE LIST (cont'd)

1
2
3 Stephen Smith Manager, Product Registration
4 S.C. Johnson & Son, Inc.
5 Racine, WI
6 Allison Wisk Starmann Assistant General Counsel
7 American Chemistry Council
8 Washington, DC
9 Donnie Taylor Agricultural Retailers
10 Association
11 Washington, DC
12 Lizbeth Rea Director of Regulatory Affairs
13 Sipcam Agro USA, Inc.
14 Durham, DC
15 Jacob Vukich Manager
16 U.S. Registration and
17 Regulatory Affairs
18 DuPont Crop Protection
19 Newark, DE
20 Brian Rowe California Department of
21 Pesticide Regulation
22 Sacramento, CA
23 Wayne Buhler American Association of
24 Pesticide Safety Educators
25 Raleigh, NC

ATTENDANCE LIST (cont'd)

1
2
3 Dave Tamayo Environmental Specialist
4 California Stormwater
5 Quality Association
6 Sacramento County Department
7 of Water Resources
8 Sacramento, CA
9 Eric Gjevre Pesticide Program Manager
10 Pesticide Enforcement
11 Circuit Rider Program
12 Coeur d'Alene Tribe
13 Tribal Pesticide Program Council
14 Plummer, ID
15 John Armstead US EPA, Region III
16 Philadelphia, PA
17 Scott Gordon Armed Forces
18 Pest Management Board
19 Washington, DC
20 Sheryl Kunickis Director
21 Office of Pest Management
22 Policy, USDA
23 Washington, DC
24
25

ATTENDANCE LIST (cont'd)

1
2
3 Geoffrey Calvert, MD/MPH Captain, U.S. Public
4 Health Service
5 National Institute for
6 Occupational Safety and Health
7 Centers for Disease Control
8 and Prevention
9 Cincinnati, OH
10 Paul Souza Deputy Director for
11 Endangered Species
12 US Fish & Wildlife Service
13 Arlington, VA
14 Michael Hardy Deputy Director, Information
15 Technology and Resources, USDA
16 Office of Pesticide Programs
17 Jacqueline Campbell Chemical Review Manager
18 USDA, Office of Pesticide
19 Programs
20 Valentin Sanchez Oregon Law Center
21 Hillsboro, OR
22 Aimee Code Executive Director
23 Northwest Center for
24 Alternatives to Pesticides
25 Eugene, OR

ATTENDANCE LIST (cont'd)

1
2
3 Richard Gragg, Ph.D. Center for Environmental
4 Equity and Justice
5 Tallahassee, FL
6 Louis E.N. Jackai Ph.D. Operation Spring Plant, Inc.
7 Greensboro, NC
8 Robyn Gilden, Ph.D., RN Assistant Professor
9 UM School of Nursing
10 Baltimore, MD
11 Pieter Sheehan Director
12 Division of Environment Health
13 Fairfax County Health Department
14 Fairfax, VA
15 Michael Kashtock, Ph.D. Office of Plant and Dairy Foods
16 CFSAN, FDA
17 College Park, MD
18 Frank Ellis Chief of the Environmental
19 Stewardship Branch, OPP
20 Thomas Cook EPA, National Center
21 of Expertise
22 Dallas, TX
23 Erik Janus Monsanto Company
24 Kristie Sullivan Physicians' Committee For
25 Responsible Medicine

ATTENDANCE LIST (cont'd)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Bret Breton California Department of
Pesticide Regulations

P R O C E E D I N G S

DAY TWO - JULY 11, 2013

MR. BRADBURY: Good morning, everyone, how are you? I hope you all had a good evening. I heard one contingent try to go see a baseball game last night, and went to the car, drove to the game to watch the storm clouds come in, and the game get rained out, so maybe next trip extracurricular activities will be a little more fruitful.

So thank you again for, I -- I think, a very good discussion yesterday. We covered some -- some important topics from endangered species, to -- to school IPM, and budget, and that was good. And we also touched base on the human-health benchmarks for interpretation of monitoring data from drinking water sources.

Today we have another full schedule and a lot of key topics. First session this morning will be addressing 21st century toxicology activities of the -- of our work group; and following that report out from that work group, we'll hear from Mary Manibusan, an update on the endocrine disruptor screening program; then take a break; and then Marty Monell will provide an update on the work of the -- of the work group dealing with comparative safety statements; then after lunch we'll have a, I think, fairly in-depth report out from

1 the pollinator protection work group, and -- and they've
2 been covering a lot of different topics and we'll -- I'm
3 confident we're going to be getting some recommendations
4 to consider in moving forward; then Lois Rossi will give
5 us an update on the efforts of the public health work
6 group; and then we'll wrap it up with thinking about what
7 we want to take on over the next six months and when we
8 meet again.

9 So with that, I'll turn it over to Jennifer
10 McLain, who chairs and helps facilitate our 21st century
11 toxicology work group.

12 MS. MCLAIN: Hi, good morning. I wanted to
13 start out at the beginning of this talk, since some of
14 you are new to the work group, and talk a little bit
15 about OPP's 21st century vision, and some of the
16 activities that we're doing here in the office before I
17 introduce you to what the work group has been doing, so
18 you understand a little bit more of the context that the
19 work group is working in.

20 So OPP's 21st century vision is to really look
21 to new science to transform our risk-assessment paradigm
22 so that it's more integrative, and hypothesis driven, and
23 we are focusing our resources and society's resources on
24 the risks of greatest concern. We really, of course,
25 want to ensure that we're doing that with a -- a sound,

1 strong science foundation that meets our risk-management
2 needs, and we'll do that through mechanisms of peer
3 review and science consensus to make sure that before
4 we're using any new tools there's a broad acceptance of
5 those tools within the scientific community.

6 All of this is things on -- in a wide variety of
7 partnerships with federal agencies, and with our
8 stakeholders, and with international communities. And
9 that stakeholder involvement throughout is really
10 critical, as you'll -- as you'll hear in just a couple
11 minutes when we talk a little bit about what the work
12 group has been doing, the PPDC work group.

13 So a few things that have been going on in the
14 Office of Pesticide Programs over the past six months,
15 the first is that we have put out a policy to replace the
16 specific in vivo acute toxicity test for irritation with
17 the in vitro -- set of in vitro tests. And this is
18 specifically for antimicrobial products with cleaning
19 claims, because those are the products for which we have
20 a data set for which to establish the policy, but we'll
21 be considering other chemistries on a case-by-case basis.
22 So we're really excited about the fact that we have this
23 policy in place, we started it with a pilot program a few
24 years ago, and it looks like it works really well.

25 The next thing that we've -- that's up here is a

1 guidance for OPP staff on waivers for specific studies,
2 and this is basically when we've made a -- a science-
3 based decision that we don't need the information from
4 these studies for making our risk-management decision, so
5 it talks about the type of weight-of-evidence evaluation
6 that the staff should do in order to make that decision,
7 to decide whether or not to grant a waiver, and also to
8 decide, for example in the case of a registration review,
9 that we don't need additional data provided by such a
10 study. It also provides the staff with guidance on how
11 to incorporate -- incorporate that determination into the
12 risk assessment, this guidance covers all of the
13 pesticides that we regulate here in OPP.

14 And the next exciting accomplishment the office
15 has made is to have this antimicrobial pesticides' data
16 requirement rule finalized just in May. It will -- it is
17 effective this month, July 2013, and it establishes data
18 requirements for antimicrobials, because antimicrobials
19 are very different than conventional pesticides. Those
20 rules were updated a few years ago, and it really brings
21 the antimicrobial data requirement rules up to -- up to
22 speed with the changes that have gone on in law and most
23 particularly the changes that have gone on in science.

24 And the reason I'm mentioning it here today, is
25 because we view this rule as a significant milestone in

1 our 21st century vision and using 21 century science.
2 Antimicrobials, as exemplified by the first policy I
3 talked about, is -- is one place that we see as a
4 launching pad for a lot of -- of these new tools, and
5 testing them out, and using them, and integrating them
6 into the way that we do our daily business.

7 We also put out in May another guidance for
8 staff on -- this is -- these are very overarching
9 principals on data requirements, so for all of our data
10 requirements this guidance is to staff to ensure that
11 they are making good decisions about when we need data
12 and when it's appropriate to waive.

13 So this is somewhat similar to the guidance
14 document I talked about earlier that was specific to
15 certain studies, but this is more overarching in its
16 concept to ensure that staff have the understanding of
17 how to look at all of the information in front of them
18 and decide whether or not a study is necessary to make
19 the risk management decision that's in front of them, or
20 whether they can move forward with the information at
21 hand in the context of that specific decision and not
22 request a certain study, so it's -- and trying to move
23 away from a thinking that you need every -- every piece
24 of data just because it's on the list, to thinking
25 contextually about what you have in front of you and what

1 decision that you're trying to make.

2 And I just put this in the presentation that
3 began, I mentioned it the last time I gave a presentation
4 to you all, because it fits so well with the other
5 guidances we've recently put out. And this is the
6 guidance that we have on how to evaluate literature
7 studies and it's really an important piece of being able
8 to use the framework, the principals for data
9 requirement, because staff really need to understand the
10 criteria and the methods by which to go about looking at
11 open literature, because we do want staff to use open
12 literature if it's available and if it -- if it meets the
13 -- the quality standards that -- that we've laid out here
14 in this guidance. There's a separate guidance for human
15 health and ecological studies that you can find on our
16 website.

17 Give me the other presentations, please. So I'm
18 going to transition now to talking about the work group,
19 and then I'll hand it over to the work group, but -- so
20 our work group is the PPDC 21st century toxicology new
21 integrated testing strategies work group, a very long
22 title. We were established in 2008, and the objective of
23 this PPDC work group is to help the Office of Pesticide
24 Programs focus on communication and transition issues as
25 we phase in new molecular and computational tools, this

1 new 21st century science.

2 So the -- the transition activities that we
3 envisioned when we establish this work group were looking
4 at specific applications in the Office of Pesticide
5 Programs of new tools, looking at biomarkers, and helping
6 us figure out how best to -- to outreach and have
7 discussions with stakeholders about the direction that
8 we're going in.

9 It was -- it was right the -- the last time. So
10 I'm -- I'm going to turn the presentation over to Erik
11 Janus, who's a member of our work group. And before I do
12 that, I just want to really thank all the work-group
13 members, many of them are here in the room. Over the
14 past, I guess, four or five years that we've been a work
15 group, we've really accomplished a lot, it's been great
16 working with everyone, and we get a lot of support from
17 our secretary at Garland Well Echo (phonetic,) which we
18 all appreciate very much.

19 So today Erik's going to talk about the -- the
20 workshop that we had a couple days ago, and then Kristie
21 Sullivan's going to talk about the metrics' proposal that
22 we have for you, and Dr. Roberts is going to give an
23 update on the biomonitoring subgroup project.

24 MR. JANUS: Thank you, Jennifer. So, yeah, on
25 Tuesday we were able to -- I guess we can move to the

1 next slide. Oh, there it is. Sorry. Thank you, I'll do
2 it myself. The workshop we had on Tuesday, as Jennifer
3 alluded to, was somewhat of a capstone to a certain
4 degree of the work that we've been doing for the last
5 five years. And I've been a -- I've been a member of
6 this group since its inception, so it's -- I've been
7 involved in all of these and it has been an awful lot of
8 work. And Jennifer's to be thanked a lot too for her
9 leadership in all of this, as well as Steve, and Vicki
10 Dellarco, who started this group many years ago.

11 This was building off of a couple of prior
12 efforts. In 2010 we staged our first workshop, which was
13 to try to orient the PPDC members to what is TOX-21, and,
14 you know, what does it mean, and -- and why are we even
15 bringing it up, and why are we going down this road, it
16 was sort of to introduce the strategic vision, as it
17 were.

18 And then the following year we dug a little bit
19 deeper into what will be needed to provide ground truth
20 to bottom-up, molecular-pathway driven decision-making by
21 looking at what happens in human populations. And so in
22 this case it was to look at diagnostic tools and
23 biomarkers which will eventually provide some sort of,
24 like I said, a -- a reality check for what we determine
25 from the molecular level.

1 And so moving forward Tuesday, what we wanted to
2 try to present to everybody was, well, where the vision
3 needs action, what -- what actions can we take, what sort
4 of tools exist now that we can start implementing the
5 vision as that's been rolled out, and I won't say,
6 recently. It's probably been, you know, at least 10
7 years or so that this has been worked on in the EPA and
8 comparing stages or -- or one another. And I want to
9 point out that we actually were able to put together
10 enough of a captivating program to hold Dr. Bradbury's
11 attention for the majority of the day, so we wanted to
12 take -- we wanted to -- we made note of that, it was
13 great.

14 So the purpose of this workshop, it was really
15 intended to be sort of a -- a -- we tend -- the work
16 group mission is to sort of help cheerlead for the -- the
17 vision and sort of provide direction on communication.
18 So we're not really particularly a technical work group,
19 so we tried to provide mostly a nontechnical workshop to
20 -- just to dialogue with the stakeholders on how EPA
21 envisions the rollout and the implementation of the TOX-
22 21 vision, and so specifically we wanted to look at
23 regulatory applications of alternative testing, the
24 challenges of making that transition, and -- and how we
25 build confidence to make sure that this will work going

1 forward.

2 And I mentioned this was already built off of
3 efforts over the last five years, specifically the work
4 group, and then much longer for the agency, so here's the
5 agenda just really quickly. And I apologize for the
6 small print, but we had a couple of excellent overview
7 speakers in the -- in the beginning of the day, including
8 Tina Bahadori, who runs the functional area in ORD where
9 this -- this work is housed, following by -- followed by
10 a session where we wanted to orient the attendees to what
11 exactly is an adverse-outcome pathway, this is sort of
12 the -- the meat of the workshop, it's a -- an -- well,
13 we'll get into that in a second.

14 The next session was to look at, in a series of
15 case studies, how these adverse-outcome pathways can be
16 used to understand endocrine mode of action, how to
17 understand ecological effects from environmental
18 exposures, how to understand the dermal-sensitization
19 effect. And then the latter half of the day was devoted
20 to exploring the challenges and the benefits of the
21 vision, and we had a series of speakers from multiple
22 walks of life to -- to put us through that, and then we
23 wrapped up with a -- a panel discussion on how to build
24 confidence in the -- in the method and sort of try to
25 explore things that may need to be done in order to

1 ensure that this works.

2 So the adverse-outcome pathway is really a
3 framework for organizing and analyzing information
4 related to toxicological mode-of-action data. It
5 underlies essentially the entire sort of 21st century
6 toolbox and the vision essentially, so, however, there
7 are some challenges that still remain, you know, there's
8 still lots of chemicals out there that -- that need
9 decisions made. There are possible many adverse affects
10 to many different types of receptors, both human and --
11 and wildlife, but there's only so much time, there's only
12 so much money, and there's a need to make sound,
13 transparent decisions every time.

14 Some of the uses, the current applications that
15 we can use adverse-outcome pathways, and I'll show you
16 what one looks like so you can get a better sense of this
17 in a second, but, you know, it really allows for improved
18 predictions of toxicity, we can set better endpoints
19 based on more refined data, it increases the level of
20 confidence we have in understanding all of these things,
21 and it's -- and, you know, being able to more critically
22 understand tox endpoints leads to better risk assessment
23 essentially, it can be tailored to life stages, it can be
24 used to help understand species-to-species extrapolation,
25 I think most importantly it can help understand data gaps

1 versus data need.

2 You know, there is data necessary to build a
3 model, and then there's data that may not be necessary to
4 building a model, and understanding and organizing all
5 this information helps one understand where you might
6 need to collect more information and -- and where you
7 don't need to collect more information. Really the --
8 the holy grail here is to be able to build predictive
9 computation models on some initial event or some tipping
10 point along the molecular pathway that leads to an -- an
11 adverse outcome, so that you don't need to measure the
12 actual -- the outcome itself.

13 Now, to sort of show you some of this madness,
14 it is, like I said, an organizational framework, it -- it
15 encompasses a lot of different ideas. What you're
16 looking at here is the adverse-outcome pathway put
17 together by a -- one of our speakers from the Department
18 of Defense, and they were interested in sort of
19 understanding per-chlorate effects to populations of
20 fish, and so what you're looking at here is essentially
21 the entire cascade of boxes up there is what's known as
22 the source outcome continuum. There's a release
23 somewhere under the environment and eventually it finds
24 yourself to the lower right through molecular events
25 through organ-level effects up to individual, up to

1 population levels, so it's a way of organizing
2 information.

3 Now, there are a lot of different terms you may
4 have heard bandied about by this group over time, and
5 this is sort of to help you understand that the exposure
6 component in the source-to-outcome pathway is different
7 than mode of action, it's different than an adversed-
8 outcome pathway, it really just looks at how the -- it
9 gets from the point of release to the target tissue
10 essentially.

11 Now, looking at the toxicity pathway is really
12 the -- sort of the molecular event, that leads to the
13 tipping point, that leads to an adversed outcome, and
14 then the cellular response, where as mode of action talks
15 about how you get from the molecular event all the way up
16 to a response -- and observable response in an
17 individual. And then this adverse-outcome pathway
18 actually takes that out to understanding and being able
19 to organize effects to population, aggregated effects in
20 individuals essentially.

21 Just to sort of show you really quickly what
22 some -- the information that's needed to populate these
23 things, now we are looking at the skin-sensitization,
24 adverse-outcome pathway, and you can see that there's a
25 number of areas where you need to have good data and be

1 able to come up with sort of quantitative linkages across
2 these various functional areas as you proceed from left
3 to right as you understand the molecule itself moving to
4 how it comes -- it induces an effect in a -- in a while
5 organ.

6 Now, of course, there are -- there's a tradeoff
7 between uncertainty and data needs as you move across the
8 different applications of an adversed-outcome pathway.
9 There are simple applications that you can use where you
10 don't need a whole lot of data, but there is a -- a --
11 more uncertainty involved. For example, if you look to
12 the upper right, you could use a read-across technique,
13 which is essentially taking information from a
14 structurally-related compound to make a decision. You
15 can do it quickly, it would be a simple correlative
16 exercise, but it would entail probably more uncertainty
17 than it would if you were to proceed to a full
18 quantitative model and risk assessment, which, of course,
19 needs more data.

20 We've covered most of this, focusing on the
21 lower-third of the pyramid here, this is a slide from one
22 of the OPP presentations at the -- at the meeting sort of
23 highlighting the -- some of the additional utilities of
24 the adversed-outcome pathway. It assists someone helping
25 to make data-bridging, read-across arguments, and

1 decisions, and it also could help with cumulative risk
2 assessments to a certain degree, and dealing with
3 transformation products. I mean, not to mention that
4 this is -- the whole idea here is to reduce animal use by
5 making smarter decisions, kind of going back to this
6 data-gaps versus data-need ideas.

7 Now, to sort of get into some more of the things
8 that we talked about at the meeting, some of -- these are
9 -- what -- it is very difficult to capture eight hours in
10 -- in 20 minutes, so, you know, we tried to sort of boil
11 down sort of the major themes, the repeated things, the
12 things that we felt were important out of -- out of the
13 day, so you'll have to forgive me if we've forgotten your
14 particular pet topic for those of you that were there and
15 helped to organize it.

16 But really these new tools will provide, as I've
17 mentioned, sort of a more-informed risk assessment
18 through better selection of endpoints, reduction of
19 better characterization of uncertainty. And it works
20 well with statutes that the agency has written, including
21 158-W, which Jennifer just told you about, that allow for
22 sort of greater flexibility to use the best science
23 possible. However, there's a need to implant the stuff
24 today so we can -- there was a -- a lot of discussion on
25 what can you do today.

1 And it was -- it came to light through a lot of
2 the talks that some of registrants gave, that really you
3 can make some significant achievements by sort of working
4 on a one-on-one level with the agency to sort of develop
5 new testing strategies that are clearly grounded in
6 biology that answer the data-needs' question. So, you
7 know, you really can do it smarter, sort of on a one-on-
8 one basis right now, given -- given the existing tools
9 that we've got.

10 One of the things that Tina Bahadori brought up,
11 which I thought was interesting that we wanted to
12 capture, is that the research program, the Office of
13 Research and Development, which is where a lot of this
14 information is -- is housed, the -- the activity -- the
15 research activity, they're going through a reorganization
16 process and they would like to actually move from sort of
17 a -- a more-perfect science to a more impactable, timely,
18 relevant science that's fit for a purpose.

19 Again, this goes back to the concept of data
20 gaps versus data needs, what is your mandate, what
21 question do you need an answer, and what information do
22 you need to actually answer that question. That's
23 something that's very important to ORD, and -- and so
24 that's something they're thinking about as they're
25 reorganizing and building to be able to support the basic

1 research function to be able to make these integrated-
2 testing decisions at the program level.

3 In addition to be able to reduce animal tests
4 and of course cost, what another great benefit of this is
5 the ability to maybe do more efficient assessment --
6 toxicological assessment by being able to combine studies
7 where possible, add -- for example, add immune or
8 neurological endpoints into a 90-day oral study which can
9 actually get a significant reduction on animal use.

10 There are challenges that still remain, we
11 mentioned some of them, but, you know, models aren't
12 perfect. And it's important not to let -- as one of the
13 stakeholders mentioned, it's important not to let the
14 mechanistic data overwhelm some of the other data that
15 may be available, so it's important to look at all of
16 this in a weight-of-evidence procedure.

17 It became very apparent in listening to the
18 ongoing activities of FDA, the Consumer Product Safety
19 Commission, the Department of Defense that we could
20 actually, probably make greater progress quicker if we
21 had a little bit more collaboration between the groups,
22 so that was brought to light, which is great.

23 One thing that was also brought to light was
24 data management, tools to do it, and resources to do it
25 were brought up. And then, of course, there was --

1 there's always this issue of how do we validate new
2 methods in a way that doesn't take a very long time and
3 the science is out date by the time you get out -- back
4 into the validation process; how do you do it in a way
5 that ensures regulatory acceptance, and -- and that
6 there's no sort of discomfort at the -- at the -- sort of
7 the worker-bee level who are processing these packages as
8 they come in, in the future; and, of course global
9 harmonization of the test guidelines would be -- would be
10 very helpful, of course.

11 One thing that was mentioned during the panel
12 discussion and a couple of other times during the meeting
13 was that sort of -- I just alluded to this, classical
14 validation may not work, and this is a concept that was
15 actually shared in 158-W, there may be other ways to do
16 this. One way -- we didn't have any answers really in
17 eight hours, but using sort of more performance-based
18 methods is one thing that was suggested by multiple
19 stakeholders.

20 Another interesting question that came up was
21 how much is enough, when do you know when an AOP is ready
22 for use, how do you know when you've got enough data?
23 Well, that kind of depends on the -- again, what's the
24 mandate you're under, and what's the question you're
25 trying to answer, and do you have enough data to be able

1 to demonstrate clear, quantitative linkages across the
2 boxes that -- that I showed you? So, for example, you
3 know, the DOD example I -- I showed, it's very advanced,
4 it's very -- probably close to ready for prime time.
5 However, will it meet OPP's needs? Probably not.

6 Again, we need to be sort of open and
7 transparent in terms of peer reviewing all these methods,
8 making sure that we're taking into account all of the
9 stakeholder viewpoints and other things that came out in
10 the panel discussion. And it was mentioned that one of
11 the best places to -- to go in terms of information is
12 actually the OECD at this point, they have -- they have a
13 good compilation of -- of outcome pathways and it was
14 thought that that actually may be the hub through which
15 global validation, acceptance, harmonization may occur.

16 And then lastly we -- we covered, you know, how
17 can we continue to drive this work, you know, what's --
18 can we establish metrics for success, can we ensure that
19 the process-related issues are in place, such as the
20 resources and tools for data management? So that was
21 really what we talked through in the eight hours that was
22 had. Thanks. Okay. Anybody have any questions about
23 the meeting, or its contents, or where we're headed as a
24 work group? Thanks. Okay.

25 MR. BRADBURY: Sheryl?

1 MR. JANUS: Oh.

2 MS. KUNICKIS: Yeah, so I'm part of the work
3 group too and I just want to say I -- I did think that
4 this was a -- a -- a very -- and, Erik, even in your
5 summary there was a very balanced presentation of what
6 got presented for -- for eight hours. I wanted to make
7 the call that I -- I don't know if we've decided there
8 will be another one, but there's been three. If there's
9 a fourth, this broader group really needs to come and
10 listen to some of this, rather than the 20-minute
11 distillation, because there's a lot here and there's a
12 lot of effort put on to engage a -- a broad, you know,
13 set of experts to come in and talk about it and -- and I
14 was kind of sad that a lot more of the actual PPDC wasn't
15 there to listen to it.

16 MR. BRADBURY: Matt?

17 MR. KEIFER: I -- I agree this was a -- a very
18 interesting meeting, the last 45 minutes of which I
19 caught. The -- but the -- in summary what I heard in a
20 -- the information I could gather on the meeting, it
21 really is very exciting progress and very rapid progress.

22 The one thing that continues to concern me, and
23 I will not stop talking about it, is the fact that we
24 still have to build the public-health safety net that
25 lets us know that the models that we develop molecularly

1 predict the behavior we expect in humans, we have to
2 maintain that, there was no discussion of that, and we
3 need to continue to have that issue on the table.

4 MR. BRADBURY: (Inaudible.)

5 UNIDENTIFIED MALE: Sort of starting where Matt
6 left off, I think that this technology is -- is actually
7 very useful for identifying things like clinical
8 biomarkers and environmental endpoints. And I think that
9 -- that as this progresses, that -- that, you know, EPA
10 needs to really think about, well, how do we -- how do we
11 use this to -- you know, we're talking about evaluating
12 impacts, not just in a predicted way, but once things get
13 out there, well, we can apply these tools and link them
14 back to the -- the vast amount of data that's generated
15 and -- and do a better job of evaluating environmental
16 and -- and -- and health endpoints.

17 MR. BRADBURY: Steve?

18 MR. COY: Yeah, I didn't find out about the
19 meeting until it was too late to -- to get scheduled to
20 be here. You mentioned a couple times, "Use the best
21 science possible," there was another phrase I can't --
22 that's similar to that, can you expound on that a little
23 bit exactly, does that mean -- how does that relate to
24 using science as -- with a -- what is it, the GLP?

25 MR. JANUS: Well, you know, in general science

1 is a moving target, you know, it's sort of based on --
2 it's -- it's sort of the best trend line through the
3 information that we have at our disposal. And so given
4 sort of emerging technology, sometimes not necessarily
5 all the information is there, but you still have to make
6 a decision. So that's sort of the basic tension I see
7 here with this, is that people want the best decisions,
8 the -- the soundest and safest decisions made, but you
9 still have to go forward with PRIA timelines and other
10 things like that.

11 So, I mean, really the best available science is
12 what we -- the best that -- the best decision we can make
13 today based on what we know now, which changes over time.
14 And -- and, no, it's not really related to the GLP at
15 this point in time, but it could be at some point in
16 time. I mean, GLP is a way of recording information in a
17 systematic fashion so that things can be reproduceable,
18 and auditable, and understandable, but that's generally
19 done once you actually have a toxicity test that turned
20 into a test guideline and is -- is available from EPA as
21 an actual protocol. These are new tools that don't
22 necessarily have that luxury yet, it doesn't mean that we
23 won't be careful in recording the information like GLP.

24 MS. MCLAIN: I just want to add a little bit to
25 that, that -- that another aspect of that is also in

1 terms of using the new tools, looking to see if there are
2 new tools out there, and determining whether or not the
3 data from those are acceptable. Even though we may not
4 have the guidelines established and looking to things
5 like the -- like open literature, like I talked about
6 earlier, that there's sometimes where the information
7 contained in the study and the literature will be
8 sufficient to meet our needs for information on a
9 particular endpoint that we -- that may be of concern or
10 to let us know that it's not of concern, so there's a lot
11 of different ways to look at the information that's
12 available to us and not just to concentrate only on the
13 guidelines studies that we are -- that we're used to
14 looking at historically.

15 MR. BRADBURY: And I -- and I'll insert 30
16 seconds. If you go to that NRC report at 2007, which was
17 sort of a critical document, NRC was charged by EPA, FDA,
18 and IH to -- to take a look at what's the state of the
19 science and what the future could be about, and a big
20 part of that report talks about, make sure you really
21 mind all the answers, because the answer may be there
22 staring you in the face and you really don't need to test
23 anything, because you've got the data. You may just have
24 to look at the data maybe a little differently, and the
25 pathway concept may help you organize the data you

1 already have and realize you've got your answer. Or if
2 you don't have your answer, you may have a very focused
3 way to get that last bit of information you need to get
4 your answer.

5 So some of 21st century toxicology isn't fancy
6 robots or -- or hyperspace of statistical analyses, it's
7 just thinking smart with the information you have before
8 you and make a sound decision, or if you do need more
9 data, realizing how to pinpoint the data you need, how to
10 use a laser scalpel instead of a hammer to get the
11 answers. We'll go Mark and then Pat.

12 MR. WHALON: My question's a two-part question
13 really, and -- and the first part of it relates to the --
14 the importance of the structure of consensus development
15 for transition to these better, faster, less animal-
16 intensive studies, which I think most of us would adhere
17 to in -- in support, and I'd like to hear more about that
18 consensus-development process and -- and bringing things
19 on, that would be useful, I think, to -- to -- to this
20 whole group.

21 The second one is the -- the OECD QSAR process
22 was mentioned a number -- a number of times, but I didn't
23 hear very much about, in the part that I was able to
24 attend, the -- how that integration's going to happen. I
25 mean, that -- that -- that -- I heard that there was a

1 great interest in that and a process headed that way, but
2 how and, you know, timeline kind of thing, what -- what
3 are -- what's the process for moving ahead in that way?
4 Thanks.

5 MS. MCLAIN: I'll start out with a few comments,
6 and I think Kristie wants to talk a little bit about the
7 OECD process. The -- so one thing that we talked about
8 in the panel discussion at the end of the day is that
9 there's not one way to get to this consensus-driven point
10 or there's -- where it's -- there's the scientific
11 acceptance. There are multiple routes of achieving that,
12 and we don't want to have everything funneled through one
13 -- only one avenue for, you know, quote/unquote,
14 validation.

15 So there are going to be specific tools that go
16 through a -- a very formal validation, there will be
17 other things that are looked at in the peer review -- you
18 know, substantial number of peer-review literature
19 studies where there becomes a general agreement over time
20 that those methods are acceptable and deliver data of
21 high quality.

22 Internally here at OPP, of course, we have our
23 science advisory panel, which -- which we use for some of
24 the tools that we develop, or for some tools that are
25 developed elsewhere, but we want to apply. Then, of

1 course, we also do use and participate in the OECD as
2 another way to develop many of the guidelines or testing
3 strategies, and that was the example of the skin
4 sensitization that Erik put up, there was that -- an --
5 the first AOP that OECD established in -- sort of in --
6 in total that they put out last year, so that was really
7 exciting. So we -- we are participating in that process,
8 and that's a really good way of -- of getting to that
9 point of acceptance. And I don't know if you have
10 anything to add on the OECD.

11 MS. SULLIVAN: Well, I think you covered it. I
12 mean, basically that the OECD is -- the U.S. is a member
13 country of the OECD, and so it participates in all the --
14 their deliberations and expert groups. They have a
15 number of different groups that work on various projects,
16 and to use the example of the -- the skin sensitization
17 AOP, it was written by a few experts, and then circulated
18 through all of the experts in all of the member
19 countries, and we're able to provide input.

20 Industry was able to provide input, and -- and
21 other stakeholder groups can provide input, so -- and
22 it's a consensus process, so what comes out OECD is -- is
23 really reviewed quite extensively by a lot of different
24 experts in the topic, and their goal with their whole
25 project, now they've got about 22 AOP in -- in the work

1 plan, and you can view all of the different AOPs that are
2 being worked on right now and you can get involved if you
3 -- if you feel like you want to, and they plan to publish
4 these.

5 And once they're published and finished, they're
6 -- they're living documents to take a -- a town of
7 advancing science, but the aim is to -- once you -- to
8 use the skin sensitization again, once you have an AOP,
9 you -- you understand and -- and -- and understand the
10 scientific support in the literature behind that
11 molecular initiating event, that, an event, can be put
12 into the OECD's QSAR toolbox. And so as each of these
13 are developed, you can build your toolbox, your QSAR
14 methods, around the scientific basis, the framework of
15 this AOP. Sorry, that was getting maybe a little bit too
16 into the weeds.

17 But to use an example that came from AOP -- or
18 from EPA actually, excuse me, is the laboratory in Duluth
19 that came up with the estrogen expert system, that was
20 developed by EPA. It went through a consensus process at
21 OECD and also went through EPA's own scientific advisory
22 panel, and so there is a lot of cross talk between the
23 experts in each country at the OECD, and so it is truly a
24 consensus process.

25 MR. BRADBURY: And to build off your point,

1 Mark, given Kristie's point about the QSAR validation
2 principals, as Kristie said of the consensus logic, and
3 how do you evaluate a model. And using the example
4 Kristie talked about, one of the accomplishments we
5 reported out six months ago was the development of the
6 NASDA QSAR guidance documents, and that is the
7 partnership between PMRA and EPA. And Mary Manibusan and
8 other helped build that guidance, and that used the OECD
9 QSAR principal that is the basis for how PMRA and EPA,
10 who were working in joint efforts, will use the same
11 approach.

12 So part of that consensus building, getting into
13 the day-to-day regulatory work, not only NAFTA, and --
14 and we'll -- and with OECD as well starting to use the
15 same mind set as we approach the kinds of risk
16 assessments we're doing, when we can use some of these
17 tools, so lots of different venues to get input, both
18 scientific peer review and input from stakeholders. And
19 that's why we have this work group, to be a sounding
20 board for -- not the gory science, but as a science that
21 is starting to evolve, how does it interface with
22 decision making and issues which you've been thinking
23 about for using the tools to make decisions, helping form
24 decisions.

25 MR. JANUS: This comment I -- I -- I was able to

1 hear part of the -- the skin sensitization process and
2 some of the comments that were made there, and also the
3 earlier more -- more molecular-science-based stuff that
4 came before that, and it was pretty impressive. The --
5 the real challenge I see is, is that as -- as has been
6 mentioned a couple times, is that you get lost in the
7 muddy water, so it's -- it's complex.

8 And -- and to -- to have a clear pathway in any
9 biological system is unusual, mostly you have pathways
10 that go like that, so that the -- the challenge is -- is
11 very significant and the goal is outstanding to reduce
12 the -- the use of animals in -- in -- in studies, so I go
13 with all of that. I'm just not doubting or anything like
14 that, I'm just along for the ride. It's pretty
15 fascinating in a lot of ways, but the outcomes that are
16 -- that are coming now, the sensitization process, I
17 think is well down the road, it looked very, to me,
18 impressive with my chemical back ground.

19 And one of the things that would be really good
20 for this group I think is at some point to have a section
21 where we focus on something that's more pesticide
22 toxicological brought -- brought to us to look at through
23 a -- through -- through -- through the process. Now, I
24 think that would be helpful for us.

25 MR. BRADBURY: Thanks. Good idea. Pat?

1 MS. BISHOP: Yeah, I just wanted to remind folks
2 that I think one of the big goals of the TOX-21 method is
3 to be more human relevant with respect to, you know,
4 protecting public health and making sure that these
5 methods work with greater understanding of the pathways
6 and how things actually occur, rather than a -- you know,
7 a black-box wrap model that, you know, may tell you
8 something about humans or it may not. I think that's one
9 of the most exciting things about these methods, is
10 hopefully they actually will provide better methods, more
11 human-relevant methods.

12 And when -- it's interesting that I -- I think a
13 lot of the validation and peer review will -- will help
14 drive the acceptability of these, whereas it -- you know,
15 many of the animal methods in use now probably weren't
16 even ever validated or, you know, to -- will not be
17 undergoing the type -- or did not undergo the type of
18 scrutiny that these will, so I'm hoping that, you know,
19 this is going to be a -- a major step forward in -- in
20 doing some of this work.

21 MR. BRADBURY: Nichelle?

22 MS. HARRIOTT: Is there a timeline for
23 integrating the use of these new tools and models into
24 the risk assessment process, and are any of these tools
25 or models ready been used in some of the risk assessments

1 that EPA has conducted?

2 MS. MCLAIN: So, our goal is to integrate tools
3 over time so that -- I mean, the time is now and -- and
4 -- and has been for many years, and there are a few --
5 you know, over the years we've built our ability to use
6 QSAR models and -- and read-across methods, we're looking
7 at new high throughput system tools that -- to evaluate
8 the science.

9 We have the theories of SAPs going on this year
10 to look at those tools in the context of endocrine
11 disruption and, you know, small things like the in vitro
12 tests that I mentioned -- mentioned earlier as a
13 replacement for in vivo, so there is -- there is a lot
14 going on here at EPA. Actually, Mary's going to be
15 talking about the SAP next, so you'll year a lot about
16 that, but -- but all of this is sort of integrated
17 together towards this common goal.

18 MR. BRADBURY: Okay. Why don't we turn it over,
19 back to Jennifer --

20 MS. MCLAIN: Yeah.

21 MR. BRADBURY: -- and the next topic.

22 MS. SULLIVAN: Okay. Excuse me. Okay. Many of
23 you know me, I -- I was recently on the PPDC, and so I'm
24 continuing to work with the work groups. I'm Kristie
25 Sullivan, from the Physicians' Committee For Responsible

1 Medicine. And can we have a --

2 MS. MCLAIN: I'm sorry.

3 MS. SULLIVAN: -- oh, sorry. Oh, great. Okay.

4 So one of the first projects that the work group
5 undertook, was to come up with some suggested metrics for
6 ways that EPA could track and show success as they move
7 towards this long-term goal. But we thought that while
8 the agency is working on these long-term goals in TOX-21
9 initiatives, we wanted to see if we could also look at
10 some shorter-term goals, and so we took -- took another
11 look at the metrics and tried to adapt them for taking a
12 look at the acute-hazard labeling studies that are
13 currently conducted for a pesticide and basically wanted
14 to be able to -- oh, usually there's a -- wanted to be
15 able to help the agency come up with some -- some metrics
16 to be able to track progress towards getting rid of some
17 shorter-term acute tests as well.

18 So just to make sure everyone understands what
19 we're talking about, we're talking about what's normally
20 termed a six-pack, and so these are sensitization,
21 acute dermal, oral, and inhalation toxicity, and skin and
22 eye irritation sites, and so over the past year the work
23 group has been working on coming up with some goals to
24 replace these studies with alternative methods or
25 approaches.

1 So the goals that we've come up with are to
2 phase out -- in general, to phase out animal testing for
3 the acute six-pack endpoints, and to see consistent
4 regular reductions in the number of animals used, and at
5 the same time consistent increases in the use of non-
6 animal methods and other approaches.

7 And specifically we came up with a couple of
8 goals, one was to -- some of these in vitro methods
9 already exist, and so we're looking at how to implement
10 them into the -- the pesticide process. Yes, you guys
11 have a table, I was going to say, I think that's next.
12 That's okay. You guys have a table of some of the
13 existing methods and approaches, and we put this together
14 just to kind of show where everything is now and -- so
15 that we could get a handle on that and -- and figure out
16 where -- what we need to do to get where we want to be.

17 So specifically we -- we want to move towards
18 having in vitro skin-irritation methods for registration
19 during the 2015 calendar year; we want to aim towards
20 accepting the suite of -- of in vitro tests for skin
21 sensitization, which is after the AOP, these in vitro
22 tests are going through the OECD process within six
23 months of acceptance to OECD, and to try to phase out
24 multiple routes of exposure for the acute toxicity tests.
25 For example, the acute dermal test, to phase that out

1 within three years.

2 So this is the table that I just mentioned that
3 you have in front of you. I'm not going to go into it in
4 detail, but if you have any questions feel free to ask me
5 now or -- or later. We also put together a Gantt chart,
6 and this was basically a way to figure out all of the
7 steps. And I'm sorry, on yours -- it's not readable on
8 your slides, but I just wanted to show you the -- the
9 work that we've been doing to try to figure out the steps
10 that need to be accomplished in order to get to these
11 goals and the timing that we might see.

12 So to the metrics, we had a lot of discussions
13 about the metrics themselves and how you track progress.
14 There -- there is a way to measure the methods that are
15 submitted by registrants, you can simply pull that
16 electronically, and so you can see how many in vitro
17 tests are submitted, or how many animal tests are
18 submitted, but there are other ways to get the
19 information, as we've been talking about, and it's a
20 little more difficult to track those kinds of
21 submissions.

22 So we had a lot of discussions about that, about
23 ways that both registrants and EPA could -- could help
24 come up with ways to track alternative approaches, as
25 we're calling them, and those are things like QSARs,

1 read-across, and other things. One of the discussions
2 we're having is whether we need to have a baseline, so do
3 we need to go back into currently-submitted registrations
4 and count all of -- all of these alternative approaches,
5 or can we just simply go forward from now and set up a
6 tracking system and -- and do it that way. So -- so we
7 are still working out some of those tracking methods and
8 details, but ultimately these are some of the metrics
9 that we want to be able to measure and try to measure.

10 And finally, of course, we want to be able to
11 measure improved efficiency and quality of risk
12 assessment, so there are some things that we're still, as
13 a work group, working to try to discuss how we can do
14 that. I think that's it for me. Yeah, if we can -- so
15 any comments on the proposals of the goals, or the
16 metrics, or -- or anything that I've said?

17 MR. BRADBURY: Mark, and then Scott, and then
18 Cheryl.

19 MR. WHALON: Thanks, I appreciate that greatly.
20 The thing I would also appreciate is, is two of these
21 slides that I could read, the methods' acceptance status
22 and the methods' acceptance Gantt chart, that would be
23 great if we could get something big enough to see. I'll
24 probably use some of this in the chemistry course I
25 teach, so I'd like to -- good job.

1 MR. BRADBURY: The -- the presentation should go
2 up on the PPDC website.

3 MR. WHALON: That would be great.

4 MS. SULLIVAN: So, Mark, I want to -- also
5 wanted to point out that the -- the slide, the methods'
6 acceptance status is this table that you have, just in a
7 bigger form.

8 MR. WHALON: Okay.

9 MR. BRADBURY: Scott and then Cheryl.

10 MR. GORDON/SCHERTZ: I just -- I just had a -- a
11 couple questions, what's the -- do you have any -- any
12 estimates on what's the cost to run the traditional six-
13 pack versus the -- you know, the new alternative, non-
14 animal use six-pack, and then the second one was say, for
15 like the -- it's not here, the eye irritation? There's
16 like one, two, three -- about six different tests, do you
17 run just like a -- choose one of them, or do you -- you
18 do a couple of them?

19 MS. SULLIVAN: It depends. The -- actually, the
20 guidance documents that Jennifer talked about, the
21 policies for eye-hazard labeling, goes into detail about
22 the eye irritation specifically, and so that would --

23 MR. GORDON/SCHERTZ: So there's --

24 MS. SULLIVAN: -- have more detail.

25 MR. GORDON/SCHERTZ: -- more to read?

1 MS. SULLIVAN: Yeah.

2 MR. GORDON/SCHERTZ: Okay.

3 MS. SULLIVAN: It depends on your chemical, it
4 depends on what information you might already have,
5 whether you can waive a couple of tests, or whether you
6 need to do a QSAR read-across assessment. That's a
7 computer program, so it doesn't -- it's not laboratory
8 cost. Some in vitro methods may be more expensive than
9 the -- the rabbit skin test, for example, but overall you
10 might see a reduction in costs. I mean, it just depends.

11 MR. BRADBURY: One more, Cheryl?

12 MS. CLEVELAND: Yeah, I think that question
13 about cost is a good lead in, because I think we hear
14 over and over again in this discussion that some of the
15 goals are that we'll get better information, the goals
16 are that we'll reduce animals, and the goals are that
17 ultimately we'll reduce costs, but I actually think
18 that's the order in which we're going to get the
19 benefits. We're going to get a lot more information a
20 lot faster than we're going to see the reduction in the
21 animals, and we're going to see the reductions in cost
22 once we've figured out how to validate the studies well.

23 And the one caveat there is that we would -- we
24 would like to come up with alternate ways of validating
25 the studies, rather than going backwards when we already

1 have a -- a goal test for animals, and then to test
2 backward just to validate the information. I mean, I
3 think that is one thing that the registrant industry and
4 -- and the industry in general has been a little bit
5 reluctant to do, so I'm just trying to think going
6 forward if we can kind of have a different corrective
7 action.

8 And the -- the one other comment that I wanted
9 to make, is I think it's really important that there's
10 OECD engagement, But it's also important to be engaged
11 beyond just OECD, or at least lead the way, or at least
12 get into not just OECD, but leading a stronger effort
13 with other regulatory bodies, the ones that really count.
14 Because even if EPA leads the way and accepts all of
15 these things and Japan doesn't come onboard, you're still
16 going to have animal use, you -- you know this.

17 I just want to bring this back up to this
18 boarder group and then say, with budget cuts and -- and
19 loss of staff, what can this group do to -- to help
20 continue to support those international efforts on this
21 front, because that's really where you'll start to see,
22 you know, cost reductions at the end of the day and
23 reduced animal use. And I don't know the answer to that,
24 but I do know that that's one of the charges of this
25 broader group.

1 And we've been so focused on the interesting
2 science and -- and watching this, because there's so much
3 base there, but that real -- the -- part of the charge is
4 how do you start to use this in regulation? And part of
5 that charge is how you start to use that truly in the --
6 in the international arena.

7 MR. BRADBURY: Cynthia?

8 MS. PALMER: Cynthia Palmer, American Bird
9 Conservancy. I think this is a really exciting effort in
10 bringing us toward more efficient, and effective, and
11 humane methodologies. A couple of items, given all of
12 the diverse endpoints in humans, and wildlife, and with
13 the acute studies, but ultimately with long-term
14 endpoints, and reproductive endpoints, and so forth. I
15 think that this would be -- it would be great to move
16 forward and ramp up the incident reporting system and the
17 60 -- 682 reporting requirement as we move forward with
18 these alternative methodologies, just to make sure that
19 we're not making some mistakes along the way.

20 And then also just a question. When you go to
21 the health-food store certain brands say that they're not
22 animal tested, and so and I'm wondering if those
23 companies are working with you or funding these efforts,
24 particularly the dermal sensitization effort, it seems
25 like they should be major players in this effort.

1 MS. MCLAIN: Actually, that topic is going to be
2 coming up at 11:00, so we'll -- we'll look forward to
3 responding to you then.

4 MR. BRADBURY: Thanks. We're talking to
5 Jennifer, so Jimmy you've got the last -- last part.

6 MR. ROBERTS: Thanks. So I'd like to take just
7 a second and put everybody's mind into that of a
8 clinician. I'm glad that several people have brought up
9 -- Cynthia, and Matt, and -- and Tricia brought up the
10 issue of keeping the human-health side in mind as we go
11 through this whole process.

12 As a clinician, just imagine you've got your
13 patient in front of you and they're -- they might be
14 violently ill or they might be just a little bit ill, but
15 you've got to figure out what's wrong with them and you
16 have to ask them questions. You've got to ask the right
17 questions to kind of figure out what the problem is, and
18 then you can do a physical exam. And if you know exactly
19 what you're looking for, then you can figure it out with
20 just your history and physical, and a lot of times that's
21 just not the case.

22 And so then we have to run tests and, you know,
23 maybe good or bad. Some clinicians run lots and lots of
24 tests, probably more than we need to. But then from
25 pesticide poisoning you've got the erythrocyte

1 cholinesterase enzyme, and after that you don't have any
2 other tests really to run, for the most part, for most
3 pesticides, and that's sort of the context with which our
4 work group became borne.

5 When they first started talking about the 21st
6 century tox work group, Matthew Keifer was on the phone,
7 and I guess he couldn't make it in from Seattle that day,
8 but he said, you know, through the speaker up there that,
9 "We clinicians really need to have some way of testing or
10 figuring out what pesticides that person has been exposed
11 to." And as importantly, rule out that they weren't
12 expose to, because sometimes it's a matter of, well, they
13 could have pesticide poisonings, but we may not really
14 know. And then ruling them out is, I think, equally
15 important as figuring out what they might be exposed to.

16 So with that in mind, our work group was formed
17 and the goal was to develop a list of candidate
18 pesticides, in which we would then look at biomarkers and
19 diagnostic testing for those certain pesticides. We
20 initially started with a work group at the PPDC and we
21 were charge with developing a list of those candidate
22 pesticides. But also as we explored the process, we put
23 on, as Erik mentioned, the diagnostic tools and
24 biomarkers in pesticide medical management.

25 In that larger workshop, sort of like yesterday,

1 really explored a lot of the different issues involved
2 with human-health exposure, assessment, and poisoning
3 management. So from there we created -- we created a --
4 definitions, we created a list of initial candidate
5 pesticides that might be important to look for in
6 diagnostic testing, and then from there we developed an
7 expert working group to really look into this into more
8 detail.

9 So this is the expert group that we have, and
10 it's hard -- it is hard to read. There are a number of
11 people in the room who are on the expert group, Jeff, and
12 -- excuse me, Jeff, and Matt, myself, Cheryl Cleveland.
13 And then we have a couple of others who are medical
14 toxicologists and also some who -- some of the medical
15 toxicologists do have experience in emergency medicine as
16 well. And we also have a toxicologist from Dow Chemical
17 on there, and as well as a number of EPA employees as
18 well.

19 So at our first couple of meetings over the
20 phone we used some conference calls and we took what was
21 originally our preliminary list of pesticides that the
22 work group came up with, which include pyrethroids,
23 organophosphates, carbamates, perpinill (phonetic,) and
24 nicotinoids. And we began talking, and -- and -- and the
25 first thing we came up with is we've got to have some

1 criteria of what constitutes the important features of
2 the different pesticides to make them on the list. And
3 then once we have that working list, we would then make
4 recommendations about doing more exploring of diagnostic
5 biomarkers and diagnostic testing.

6 So we had -- we first talked about a number of
7 different criteria, and then we ranked them. Each of the
8 members put in their -- their preference or ranking for
9 each of the criteria, and the top three are -- these
10 pesticides should have a high prevalence of reported
11 poisonings with a moderate or -- or severe toxic effect.
12 Now, these poisonings -- or these pesticides, there
13 should be a high prevalence of exposure, regardless of
14 toxicity. The idea behind that is that a lot of
15 pesticides that are used commonly might look a lot like
16 organophosphates in terms of some of the clinical
17 findings, but the treatment is obviously not nearly the
18 same. And then the other is high acute toxicity and
19 lethality, regardless of exposure.

20 And then some of the other criteria we consider
21 as -- as secondary criteria would be some pesticides in
22 which you might end up having inappropriate treatment
23 given, or delayed, or misdiagnosed for the pesticide;
24 another is whether there's a treatment available; and
25 then a third criteria would be types of pesticide use,

1 whether in the homes, or the schools, or the pests. And
2 then in general the -- the working group agreed that we
3 should really be looking at the chemical class, not the
4 individual active ingredient, because then you're looking
5 at many, many compounds and I think it makes more sense
6 to look at the overall class.

7 So the group has identified a number of
8 different data sources, poison control center, there's
9 some California pesticide incident-prevalence program
10 data, the sensor data from Geoff Calvert, Ed Hanes
11 (phonetic,) there's also a California use-reporting
12 database, and some EPA usage data, and toxicity data.
13 Certainly if there's any other data sources that the PPDC
14 has that would be useful for us to look at, we would be
15 open to that.

16 And then the idea is to take these databases and
17 apply the criteria that we have in the previous slide to
18 help refine the pesticide priority lists that we have. I
19 will say that we -- some in the expert group have added
20 on phosphene, based especially on the sever toxicity and
21 difficulty in treatment with that from either aluminum or
22 zinc phosphides, and then we also added on paraquat and
23 diquat. Particularly paraquat from the -- (inaudible.)

24 So that's where we're at right now, and we have
25 another conference call we need to be scheduling. And as

1 I mentioned, if there's any other input that PPDC has, we
2 would like to hear it.

3 MR. BRADBURY: Matt?

4 MR. KEIFER: Jimmy, I'd just add the 682 data
5 might be of value in terms of adding to that list, and
6 then also the Washington State Pesticide Reporting System
7 is pretty thorough, those are two other sources that --
8 that we might want to take a look at.

9 MR. ROBERTS: We -- we talked a little bit about
10 the 682, and one of the questions that came up was
11 whether there is too many identifying information pieces
12 in there, HIPAA. HIPAA.

13 MR. KEIFER: You mean it's a HIPAA --

14 MR. ROBERTS: Yes --

15 MR. KEIFER: -- problem for us?

16 MR. ROBERTS: -- for us.

17 MR. KEIFER: But if it becomes a public -- I
18 mean, if it becomes public material, you can strip the
19 identifiers, can't you, for you to give them to us? I
20 would think we'd be able to access them without
21 identifiers. Plus, we're not a covered entity. EPA's
22 not a covered entity, so we wouldn't be covered by HIPAA.

23 MR. KEIFER: I guess -- I guess a lot of this
24 thinking in terms of --

25 MR. ROBERTS: No.

1 MR. KEIFER: -- our ourselves as opposed --

2 MR. ROBERTS: No.

3 MR. KEIFER: -- EPA, yeah.

4 MR. ROBERTS: All right.

5 MR. BRADBURY: You guys. Sheryl, the last
6 comment.

7 MS. KUNICKIS: So -- so I'd say, you know, being
8 involved in some of this, this has come a long way,
9 because what you've -- what you've had to do is corral a
10 whole lot of people with a whole lot of individual
11 agendas and get to some kind of priority lists. And just
12 getting a list of priority criteria was not easy, so I
13 think there will be another round of trying to sort
14 through all of that.

15 It's a long road when you're looking for this
16 goal, because everybody wants everything. On that first
17 phone call everybody wanted everything, you know, I want
18 my little pet thing, and -- and so what you're trying to
19 do here is trying to find and identify at least consensus
20 on something that makes a good pilot and -- because we
21 had said we were headed towards a -- a pilot program. So
22 just a lot of work to get that far, I just wanted to
23 point that out to the broader team.

24 MR. BRADBURY: Thanks. Mae?

25 MS. WU: At the risk of saying something that

1 Sheryl had just -- just kind of addressed, that I'm --
2 I'm curious whether -- and I acknowledge that you all are
3 way more expert on this stuff than I am, whether you're
4 looking also at the kinds of things that might be in
5 personal-care products, not just like used on, say, like,
6 out uses or outside uses as far as, like, exposures being
7 a lot higher. I'm just thinking, like, you know, with
8 the daily uses and things like that.

9 MR. ROBERTS: We -- we would be looking at
10 anything that comes into human contact, so, you know, for
11 certainly some pesticides that are on those products
12 there would certainly be things we would be interested
13 in, in knowing about.

14 MS. WU: Um-hum.

15 MR. ROBERTS: The difficulty becomes in the
16 figuring out beyond our own personal use, but constitutes
17 really high usage, I think that's where some of the usage
18 data can come into play in terms of high prevalence of
19 exposure. And we briefly talked in the small group, not
20 even in our whole work -- work group yet, but how to take
21 these data sets and then begin to try to apply that
22 criteria. And, you know, one proposal would be to take,
23 say, the top 10 percent or so of the usage chemicals, in
24 the classes at least, and then kind of go from there.

25 It's arbitrary, the 10 percent, it could be --

1 by the time we see the number of different products, it
2 might be the top five percent. The idea though is to
3 cast as broad of a net as we can to -- to kind of find --
4 identify some of these chemicals that clearly -- and I
5 can assure you that they're not on most physicians' radar
6 screens.

7 MS. WU: Yeah. I guess my -- the -- the one I
8 had in mind and one of the pet issues is, and the other
9 question would maybe be the EPAs, whether it would even
10 be able to fall under this, is because of the uses is
11 Triclosan, which is an FDA-regulated use when it's in the
12 -- so, but it is something that I'm sure the exposures
13 are really high that we know from, like, the state and
14 things like that. But I'm curious whether the group
15 could look at something like that, that may have both FDA
16 and EPA-regulated uses, but the FDA uses might be the --
17 might be the higher source of exposure, but, you know,
18 putting that on the table.

19 MR. BRADBURY: Why don't I -- I'll respond to
20 that.

21 MS. WU: Okay.

22 MR. BRADBURY: And then if it's okay with the
23 rest of the committee, maybe wrap this session up so we
24 can kind of stay on schedule. So broadly speaking, some
25 of the -- some of the -- the discussion that Erik

1 mentioned from the work group, generally in the workshop,
2 and then this specific topic of the biomarkers, and we
3 had that October 2011 workshop on biomarkers, and then it
4 got published in C & E News, and the next day DARPA calls
5 and wants to know what EPA's doing in a very positive
6 way, because they talk about -- we have technology we're
7 trying to develop to help soldiers that may be exposed to
8 chemicals in the field and folks on -- medics are trying
9 to figure out what did they get exposed to and how could
10 you rapidly -- and they also have a goal to try to see if
11 this technology could be used in other venues in the
12 United States in domestic, you know, situations.

13 And so by working through this, they basically
14 said, if you can come up with a pilot list of chemicals,
15 let's see if we can partner and view some of the gee-whiz
16 technology we have and see if we can come up with some --
17 some technology that could be applied, so this idea of
18 working across the federal government is really
19 important.

20 And then the example of Triclosan, Jennifer and
21 colleagues are working closely with FDA on Triclosan.
22 Like you said, they've got the lion's share of the use of
23 Triclosan as registered -- regulated by FDA. But we're
24 working closely with them not only on Triclosan, but in
25 this 21st century toxicology area. So I think that would

1 be -- we'll take that idea, I think bring it back through
2 out FDA/EPA partnership, and then get the traction and
3 you could bring it into the -- into this group, I think,
4 and explore some of that as well.

5 So all these different threads you get going,
6 sometimes you don't know how they'll weave together, but
7 I think that generally it weaves together. And -- and I
8 appreciate that PPDC with the patience to work through
9 this over the last five or some years, because we knew
10 five years out it was just an image, but it's starting to
11 happen. But if we -- if you didn't bear with us and --
12 and go through these discussions, I don't think we would
13 have had ideas that are very valuable to say, how would
14 you ever do this, even if they can do it, and then the
15 different facets you all bring in to us.

16 So, and I know sometimes we get into the weeds,
17 we try to keep altitude, but I appreciate the -- the
18 whole committee giving us the advice, it's been very
19 helpful. Okay. Matt, quick.

20 MR. KEIFER: Quick. I just wanted to say that
21 the committee that Jimmy just described, the working
22 group that we just described, was an offshoot of the 21st
23 century toxicology, at the present time we're sort of
24 working slightly independently of what we heard
25 presented. In the end, the goal would be to bring the

1 needs created and identified in this group back to that
2 21st century toxicology, so that the interests can merge
3 using that same toxicology to identify those bioassays
4 that we ultimately will use for diagnosis to meet the
5 needs of -- of what was described as that safety net for
6 human toxicity that we really need to have to understand
7 whether our models are working.

8 MR. BRADBURY: And I agree. And -- and that
9 image that Erik had, I think in his power point, showed
10 the NRC 2007 concept. And that outer circle is the
11 surveillance, it's the diagnostic to open that, that
12 whole document doesn't work. And the NRC, the NAS said
13 this isn't going to work without -- it's in the outer
14 circle of that figure, but it's what's going on in
15 wildlife populations. They -- they only talk about human
16 health, we're talking about everything, human health and
17 wildlife populations, what's happening out there, and
18 then how does that relate to what we know inside a cell,
19 and how do you connect all that up. And you -- you have
20 to have both when you don't have it, so we're going to
21 figure it and we're going to do it.

22 So why don't we move on to the next part of the
23 agenda, which relates to some of these very topics, and
24 you can see how some of these very concepts in part are
25 playing out in the endocrine disruption screening

1 program. Mary Manibusan is the director of the program,
2 and as in previous meetings giving you updates on -- on
3 where we are in moving that program forward.

4 MS. MANIBUSAN: Okay. Good morning, everybody,
5 and thank you so much for inviting me to come back and
6 give you an update about the endocrine-disruptor
7 screening program. It's been a quick six months since
8 we've met and have much to report.

9 But let me start by sharing with you that, you
10 know, I come from a place where I've had the fortunate
11 ability to work across the agency, and the Office of
12 Water, Office of Research and Development, and more
13 previously to the job I hold now, I spent some time in
14 the Office of Pesticide Programs, and what has impressed
15 me about staying with the agency across those different
16 offices is this consistency in having the courage to move
17 forward on science, pressing the boundaries to such an
18 extent that we're making sure that we're utilizing all
19 the advanced technologies that we have to do our jobs
20 most efficiently, effectively, the swiftest, and quickest
21 way, but with the cost-effectiveness in mind and, of
22 course, the assurance that we're meeting our mission to
23 protect the public health and the environment, and no
24 more -- nowhere is that more true than where I work
25 currently in the endocrine program.

1 So my update to you this morning is entirely
2 focused on the state of the science, because that's what
3 we've spend the last months -- six months doing, just
4 anchoring down what is the state of the science, how can
5 we move forward, and to what technologies can we begin to
6 transition the program into. And so with this particular
7 overview, I'd like to set the stage by giving you a
8 really brief background on the program and the particular
9 statutes that we work under. I'll talk with you about
10 SACA process that really provided a key recommendation to
11 what our program looks like today and then how we build
12 out from there.

13 And then I'll quicken the pace a bit and perhaps
14 in a more brocado fashion, walk you through each of the
15 science-advisory panel meetings that we've had since
16 we've met and the one SAP that still remains, which is
17 scheduled for later this month, and then I will try to
18 tread the needle a little bit and link up the SAPs with
19 some of the work that we're doing on the information-
20 collection rule and putting and assembling pieces of the
21 program together so that we're most effective.

22 And lastly I'll -- I'll end with giving you a
23 glimpse of beyond this year into 2014, how we're
24 beginning to think about transitioning this new
25 technology into the program, and, more in particular as

1 it relates to your conversation just a minute ago, how do
2 we bring together the community so that we're assuring
3 that we're walking through this transition together, and
4 what might some of the expectations be as we begin to
5 retool our program and start incorporating some of these
6 new tests.

7 So I always like to start my presentation with
8 the end game, what do we have as our mission. And it's
9 stated very clearly here, it's a very narrow mission, in
10 my mind, and that is to protect public health and
11 wildlife by screening and testing chemicals for
12 endocrine-disrupting capability. And if and when we find
13 risk, we need to take action on those, that is not new to
14 our program or any other program across our agency.

15 We work under very specific legislative
16 mandates, and they're listed here. The first is a 1996
17 Federal Food, Drug, and Cosmetic Act, it's Section
18 408(P). Here it's defined that the agency needs to
19 develop a program, it needs to develop a program
20 specifically that utilizes validated test systems, and
21 that's an important word for our program as we look to
22 developing test methods that focus in on the endocrine
23 system, and more specifically it looks to certain
24 chemicals that may have an effect similar to an effect
25 produced by naturally-occurring estrogen and other

1 endocrine effects as the administrator may designate, so
2 I just want you to hold on to those particular thoughts.
3 As -- as I move through, I'll show you how we've
4 progressed beyond the estrogen pathway and beyond the
5 human population.

6 Beyond the FFDCA, which requires us to screen
7 all pesticide chemicals, we also work under the 1996 Safe
8 Drinking Water Act Amendment, Section 1457. Here -- very
9 different from FFDCA, the focus here is on testing
10 chemical substances that may have an -- an exposure in
11 substantial-population drinking-water sources, so here we
12 need to make an exposure finding before those chemicals
13 fall under the purview of endocrine screening.

14 Following shortly, we looked to our Federal
15 Advisory Committee and we developed the Endocrine-
16 Disruptor Screening and Testing Advisory Committee. In
17 1998 they put forward some key recommendations to the
18 agency, and we've wholly adopted those as policy. Some
19 of those key recommendations include expanding the
20 protection to include not only human health, but also
21 wildlife, just the recognition that humans live in the
22 environment and environmental species are often early
23 indicators of impacts from endocrine-disrupting
24 chemicals.

25 It also suggested that we expand beyond the

1 estrogen pathways to be inclusive of androgen thyroid, at
2 that time those were the three most common pathways for
3 endocrine disruption. But the EDSTAC also recognized
4 that science is advancing very, very quickly, and so
5 there are other modes of action to be considered and
6 suggests that the agency considered that as we go
7 forward.

8 But perhaps one of the most critical
9 recommendations that really led to what the program looks
10 like today is the development of a tier-two screening and
11 testing program in recognition that we not test every
12 chemical in long-term complex studies, we're beginning to
13 be smart about which chemicals we move forward to higher
14 levels of testing. And that tier-one screen, as it's
15 listed here, the question for the agency to answer is
16 whether a chemical has the potential to interact with the
17 endocrine system and it's focusing on the estrogen,
18 androgen, and fibroid-hormone systems.

19 And if chemicals are deemed to have the
20 potentials to interact, then they would move forward
21 perhaps to tier-two testing. And tier-two tests are very
22 liken to part 158 studies and it's intended to determine
23 whether that chemical indeed has an interaction, and then
24 at what particular dose, because that dose information
25 will be fed back into the risk assessment and ensure that

1 our risk assessments are protective of not only
2 endocrine-disrupting potential, but all other adverse
3 outcomes.

4 So here's just a slide to show you what our
5 tier-one screening battery looks like. This screening
6 battery was reviewed and validated in 2008 by the science
7 advisory panel and it's comprised of five in vitro assays
8 and six in vivo assays. Here's another look at the tier-
9 one screening assays. They're built to work together,
10 and so we often describe it as a battery, because it
11 clicks together like a puzzle piece. Every piece is
12 intended to inform each other, so in my mind it's -- it's
13 almost liken to an impressionist painting where up close
14 you might see just dabs of paint, but as you step back
15 you begin to elucidate the bigger picture, what's going
16 on, is there really interaction.

17 And if you'll see the way that this matrix is
18 put together, it demonstrates how the in vitro studies
19 are really informing the in vivo studies. And they're
20 built together along the E, A, and T pathways, so the
21 estrogen, androgen, and thyroid pathways. So even at
22 that time in 1998 or 2008, there wasn't the term, adverse
23 outcome pathway.

24 There certainly was a recognition that we needed
25 to understand what was happening at different levels of

1 biological organization starting from the molecular
2 level, moving into the organismal, and -- and -- and so
3 on, into the population. And in vivo studies are clearly
4 the anchor for this set, because in vivo studies not only
5 capture the specific modes of actions that we have from
6 the in vitro, but they cover all other effects that could
7 only happen in, in vivo systems. For example,
8 compensatory mechanisms out of patients, other modes of
9 action, that's the beauty of this complementarity of
10 the entire battery.

11 If chemicals again are deemed to have that
12 potential to interact with the endocrine system, it could
13 move forward into tier-two testing. And within our
14 collection, our tool box for tier-two, we have covered
15 both the mammalian aspect as well as the ecological,
16 again going back to the ed sec recommendation that we
17 cover both human health and wildlife.

18 Here just listed for you is the tier-two site
19 starting with the mammalian two-generation reproduction
20 study, this is already a validated study included in your
21 158 testing requirement. We also offer the option to
22 submit an extended one-generation reproduction study, and
23 that is more focused on endocrine effects because there
24 are specific endpoints included there that are not so
25 captured in the two-generation study.

1 And that kind of economy of scale is something
2 that we've looked to, to apply for the ecological
3 studies, which -- which has just recently been peer
4 reviewed, and I'll talk with you a little bit about that
5 in a few minutes. And again I just want to demonstrate
6 here just the coverage of different species, including
7 the bird, the frog, fish, and invertebrate, and all those
8 particular tasks are incredibly important to informing
9 the agency of whether that chemical interacts, and again
10 at what dose for risk-assessment purposes.

11 We are not a program just focused on test-method
12 development. And this slide is just to snap everything
13 together for you to give you that conceptual framework of
14 how we're thinking about strategically approaching this
15 testing and screening of chemicals, so if you can
16 visualize this more of a -- as a funnel. On the top, the
17 -- the largest piece of that funnel, is where we're
18 looking to screen our universal for chemicals, which
19 includes about 10,341 unique chemicals. And it moves
20 those, only those, with high probability of having the
21 potential to interact into the tier-one screen and in
22 performing our whole weight of evidence determination in
23 bringing not only the tier-one data, but also other
24 scientifically-relevant information.

25 So going back to that notion that we take into

1 account all available information, whether it be
2 published literature, in silico bottles, in vitro, or in
3 vivo studies, we bring that all together to make a
4 decision of whether that chemical needs to move forward
5 for tier-two testing, and that is the last step in this
6 funnel.

7 Alongside on the left, I just want to remind
8 everyone that we're not only just focusing on human
9 health, but making sure that we're covering ecological
10 impacts as well. So to the degree that we're
11 prescreening and we're walking through the tier-one and
12 tier-two, that's what we're going to be thinking about.

13 So here's a -- a quick timeline snapshot of
14 where our program's been, this program is not without
15 much criticism. There are folks who believe that we've
16 not moved fast enough since 1999 when we developed the
17 endocrine program and there are folks who think we're
18 moving too fast, in my mind I think we're kind of in the
19 middle.

20 Here's where we are to date. Since 1999, when
21 EPA established the endocrine program, we took a decade
22 to develop the 11 tier-one assays and had those validated
23 at the science advisory panel meeting in 2008. Shortly
24 thereafter, in 2009, we started issuing out initial test
25 orders for tier-one assays for 67 pesticide chemicals,

1 that was inclusive of 58 active ingredients and nine
2 high-production volume and inert ingredients. Since test
3 order issuance, 15 has -- 15 of those chemicals have
4 opted out of the pesticide market or has voluntarily
5 cancelled their registration, so we're left with 52
6 chemicals of that initial list that we're -- that we've
7 received initial tier-one data for.

8 Shortly thereafter, in 2010, the agency received
9 house-appropriation directive language to issue no less
10 than 100 more chemicals for tier-two testing, that's
11 inclusive of drinking-water contaminants, so we issued
12 that draft list November 17th of 2010. And just
13 recently, as you may be aware, we issued that final list
14 in 2013 for public comments.

15 In 2011 we started receiving all the tier-one
16 data, because we allowed for two years for the data to be
17 generated, and so from 2011 up until early 2013 we
18 started receiving all that data and we're in the process
19 of data reviewing all that information and putting
20 together our assemblage of the weight-of-evidence
21 assessment.

22 At the same time we recognized that we needed to
23 put forward some clear guidance on how the agency was
24 going to perform this integrative analysis utilizing the
25 tier-one data and other scientifically-relevant

1 information, so in September of 2011 we issued our
2 guidance for how we're beginning to think about weight of
3 evidence, how do we do this, how do we make a decision
4 whether a chemical interacts and if it needs to proceed
5 to tier-two testing.

6 At the same time in that same month, we also
7 issued a critical document that I'll talk to you a little
8 bit more about, it's the EDSP-21 work plan. Here's where
9 we articulate not only our vision in moving forward with
10 computational toxicology methods, but how would we begin
11 to implement to apply that across time, ensuring that
12 we're building on confidence as we move along.

13 The last two items on this timeline I'm going to
14 spend a -- a lot more time in updating you on, and -- and
15 that is the development and issuance of our first EDSP
16 comprehensive management plan, which is really a critical
17 impetus for us moving forward the way we have been in the
18 past year.

19 And, of course, lastly I'm going to spend a lot
20 more time just walking through with you the SAPs and
21 linking them together for you, so that you begin to -- to
22 see the bigger picture of where we're trying to head, and
23 then talk with you about the day-to-day work of putting
24 together the ICR and where we invite your comments on the
25 -- on the burden estimation.

1 So here is a slide on the comprehensive
2 management plan, again, it was issued in June of 2012 and
3 this is a response to our Office of Inspector General's
4 report where they evaluated the program and determined
5 that we were not being as effective or efficient because
6 we didn't have the necessary work plan laid out, so that
7 is what the -- this particular plan was intended to do.
8 It was an internal -- an internally-developed document
9 that worked across our partnering offices, inclusive, of
10 course, the Office of Pesticide Program, Office of
11 Pollution, Prevention, and Toxics, Office of Research and
12 Development, as well as our Office of Water partners.

13 It's a strategic guidance to our EPA staff and
14 managers for how we put together our operational plan for
15 the next five years, just looking across a five-year
16 horizon, how do we work together, how do we make sure
17 that we set up milestones to ensure that we're achieving
18 the goals that we were intended to at the very beginning
19 in 1999. It's very clear that we were not intending to
20 establish any policies, or new procedures, or imposing
21 any new requirements or guidance.

22 And -- and lastly it's important to note that
23 this is a living document, we're not stopping after five
24 years, we're -- we're annually updating this
25 comprehensive management plan. And, in fact, we're in

1 the process of updating it through this year, as we
2 expect a new version to be launched at the end of fiscal
3 year.

4 So embedded in the comprehensive management plan
5 is this table that lays out the key milestones that we
6 had identified for 2013. Starting from the top, we
7 talked about the need for chemical prioritization using
8 computational toxicology. So using some of the advanced
9 technology, how do we strategically and smartly identify
10 those chemicals that should be screened first, again just
11 recognizing that resources are every limited and we want
12 to pay attention to those that really deserve the
13 screening level evaluation.

14 The next row identifies the need to complete the
15 data reviews for the initial tier-one data and conduct
16 weight-of-evidence reviews, and I'll talk a little bit
17 about that as well. And then here we've listed a series
18 of scientific advisory panels, both on the tier-one
19 battery, as well as how we're thinking through the
20 weight-of-evidence determinations, because we think
21 that's really important for this initial set that we lay
22 down the ground works for how do we do this and how do we
23 do this consistently across chemical.

24 We're also closing out on the tier-two inter-
25 laboratory test methods. This work has really started

1 since 2001, so it's -- it's not been a very expeditious
2 validation process. But in 2013 we took a lot of that
3 information, just last month, to our SAP, and I'll talk
4 with you about that.

5 And then lastly on the table is the issuance of
6 list-two chemicals and tier-one test orders, and, of
7 course, that is connected with the information collection
8 rule and our finalization of list two, so I'm going to
9 use this particular table and kind of walk you through
10 and give you an update on where we have been in our
11 program and how we've done.

12 So starting from the top on the use of
13 computational toxicology for prioritization, as I stated,
14 in September 2011 we put out our work plan, and this was
15 in recognition that -- that, you know, the work and the
16 pace that we're currently on in terms of issuing test
17 orders, it's a -- it takes a long time and we're looking
18 at a universe of 10,000 chemicals. So to really think
19 about the timeline with respect to 2009 issuing our
20 initial list of test orders, 2011 receiving the data
21 submitted for review, and then coming back in 2013 to --
22 to actually do a peer review of that data, we're talking
23 about no less than five years for just the initial tier
24 and then probably another five more for the second tier.

25 So 10 years in combination, the set of tier-one

1 assays cost upwards of half a million to three-quarters
2 of a million dollars per chemical, so we're talking about
3 a substantial amount of resources, a lot of time. And
4 with the current projectory, it would take decades for us
5 to go through 10,000 chemicals. That being said, we
6 understand that, you know, that science has advanced, and
7 this computational toxicology is really calling for us to
8 do our jobs a little differently and recognizing that
9 data could drive us to work a little bit faster in
10 screening and tests a bit smarter.

11 So to really address the thousands of chemicals
12 that have the potential to interact with the endocrine
13 system, we do have to begin to develop a prioritization
14 method. In the EDSP-21 work plan currently stands,
15 here's just a -- a pictorial of the -- of the core work
16 that's -- that's explained there. I -- I don't want to
17 go through each of these particular phases, only to
18 recognize that there are three -- three steps here.

19 The first phase is thinking about how do we
20 utilize high-throughput or computational tox methods,
21 whether they be QSAR or other in silico technologies, to
22 help us prioritize chemicals, deciding which chemicals to
23 screen and test first. There the uncertainty that's
24 tolerated is the -- probably -- probably a lot more than
25 if we were making the decision of whether that chemical

1 has the potential to interact with the endocrine system,
2 so that that level of confidence needs to be a lot higher
3 as we move down the second phase, and it's nominally
4 given two to five years and I wouldn't pay too much
5 attention to that.

6 But after we've established the confidence of
7 using some of these high throughput technologies for
8 prioritization purposes, then we can move forward
9 deciding, well, can we use that to help target our
10 testing. So maybe we don't have to ask for all 11 assays
11 within the tier-one battery, maybe with high -- high
12 through technology it will help us focus in on the
13 specific assays that we really need to better understand.

14 And then lastly on a longer-term phase basis,
15 we're looking to make determinations that this high
16 throughput technology has enough confidence in it, have
17 enough robustness in it that we can go forward and
18 replace the entire tier-one battery with the high
19 throughput and in silico technologies, but that's on a
20 longer-term basis. I think the key message I want to
21 send to you here is that we're looking to transition
22 these test methods slowly and incrementally, and we want
23 to make sure that we're establishing confidence as we
24 move forward, and that we're not rushing to the end
25 simply because these technologies are available.

1 So the first step in that work plan calls for
2 the agency to look to prioritizing the universal
3 chemicals for EDSP, and some of the thoughts and concepts
4 here are laid out. We're looking at the three top ways,
5 estrogen, androgen, and -- and thyroid, and looking to
6 meld together, integrate the high throughput technology.
7 And for those who are not very familiar with high
8 throughput, it's just thousands of cells that you can run
9 very quickly and using robotics. It's very similar to an
10 in vitro petri dish, but it's done in a high-volume
11 scale.

12 Inherent chemical properties, so what does that
13 chemical look like, what's the structure, is it
14 corrosive, is it charged, is it acidic? Those properties
15 are really important, as you'll see, because they help us
16 define the chemical universe that really warrants
17 screening and is testable.

18 The model predictions in the previous talk, we
19 already mentioned the ER expert system that went through
20 SAR review, but there are other SAR methods that -- that
21 would come online, it's a recognition of that. Exposure
22 data, this is something that our panel just in -- in June
23 had already mentioned, the importance of considering
24 exposure information as we begin to prioritize chemicals.

25 And then looking at structural analog, so maybe

1 we don't have to test every pyrethrum, maybe we can pick
2 a surrogate and just test that, so, again, opportunities
3 for read-across is certainly very important. And then
4 making sure that we're anchoring all the work that we're
5 considering, all the data together, and providing in a
6 framework. So we've talked about the adverse-outcome
7 pathway being that framework of how we lay down the
8 information, and so we have much more certainty about the
9 endpoints that we're choosing for risk assessments.

10 So in January we worked together with our office
11 in research development, our national computational tox-
12 center colleagues to put together a prioritization method
13 that relies not only on newer, swifter technologies, like
14 high throughput, the ER expert system, but looking at
15 older technologies or things that we've taken for
16 granted. But we're looking at them in a -- in a
17 different light, so a lot of the physical chemical
18 properties were brought together alongside with these
19 newer technologies.

20 And the -- the final report from the SAP was
21 received by the agency in May, and we thought the -- a
22 lot of the recommendations were incredibly, incredibly
23 informative and very, very helpful. Just to set the
24 stage, the focus was primarily zooming in on the estrogen
25 pathway as a demonstration for the androgen and thyroid,

1 because, again, we were trying to elucidate the -- the
2 methodology.

3 And then taking that approach, we would apply it
4 for the androgen and thyroid as it -- as it was deemed
5 fit, so the focus here was obtaining some input and
6 recommendations on the -- on the scientific concept, and
7 principals, and -- and processes as we begin to explore
8 prioritizing with some of these technologies. So this is
9 a figure that we presenting at the SAP, and we've --
10 we've adapted it since based on some of their core
11 recommendations, so I just want to walk you through some
12 of the thought logic.

13 It starts on the top, our universe, like
14 chemicals, comprised of 10,341 chemicals split across the
15 Safe Drinking Water Act, CCL lists, the inert chemical
16 universe, as well as the active ingredients. We've
17 separated the active-ingredients' process to the left in
18 recognition that there is an existent schedule, the
19 registration-review schedule, that would drive when those
20 chemicals would come in line. Again, just to think about
21 dovetailing the processes so that we're not spending
22 resources unwisely.

23 So let me start with the left-hand side where we
24 start with the Safe Drinking Water Act and the inert
25 universe, and that's comprised of about 9,000 chemicals,

1 what we took to the SAP was the consideration of some
2 sequential filters. And perhaps they're not that
3 sequential, because they do overlap with each other. So
4 in terms of physical chemical properties, here the
5 questioning we were -- we are asking is, can we glean
6 from its characteristic, whether it's an acidic, or basic
7 compound, where that chemical is testable in some of the
8 in vitro/in vivo test -- test methods that we have, but
9 more importantly to have the ability to become bio-
10 available so that you can have systemic absorption and
11 thus to elicit endocrine disruption potential.

12 We -- we brought to the panel some cutoffs for
13 acidity, when a chemical is too acidic or too basic; we
14 considered things like when the chemical's too large,
15 it's a polymer, so it can't even fit into the receptor
16 pocket to initiate the molecular initiating event; we --
17 we considered things like charged characteristics of that
18 chemical; as well as the environmental half-life. The
19 environmental half-life is can it -- can it stick around
20 and is it stable enough to -- to allow for human or
21 wildlife exposure, because if it isn't, it's -- it's of
22 not concern to our program.

23 And that -- and that half-life information
24 really speaks to exposure, so that's captured in the next
25 diamond which combines the hazard exposure, because the

1 recommendation of the panel was, hey, consider more than
2 just the hazard, think about exposure as well when you're
3 prioritizing chemicals, because certainly if there's no
4 exposure there's no risk of concern. So the hazard call,
5 we are looking to utilize not only the high throughput
6 technologies but also the ER expert system, and those
7 were the two tools that we brought to the SAP. And this
8 was the first time that we had brought high throughput
9 assays to the panel, and there's certainly some work
10 needed on both models, so we feel pretty confident that
11 the overall process was very acceptable to the panel
12 itself.

13 And then lastly the box here is just for the
14 agency to make sure that there is a chemical manufacturer
15 existent in the U.S., because without which we do not
16 have the authority to issue test orders. We also
17 consider other scientifically-relevant information before
18 we move chemicals into our -- our bucket, if you will,
19 for -- for tier-one screening.

20 On the left-hand side, very, very similar, we'd
21 utilized the registration-review schedule for active
22 ingredients, we think about applying phys chem properties
23 to consider chemicals that are not testable, the acid-
24 bases, all that applies as well. Well, think about some
25 exposure considerations for the uniqueness of the

1 different active ingredients, whether they have human
2 exposure, or wildlife exposure, and to what extent, and
3 then certainly when applied to our considerations of
4 read-across and chemical categories, as we've just talked
5 about.

6 This is where the January SAP came out. Some of
7 their key recommendations of really high level are listed
8 here, they talked about the prioritization scheme being
9 very-well organized and very clearly described. And as
10 noted, they asked the agency to consider exposure earlier
11 in the prioritization process, because they felt that was
12 really, really important.

13 On the phys chem property filter, they are very,
14 very complimentary and they found that this was based on
15 strong scientific principals and very consistent with the
16 recommendations made in 1998 by the EDSTAC at that time,
17 but also asked us to think about the adverse-outcome
18 pathway and think about the molecular initiating events
19 and creating probably some criteria for deciding, based
20 on p-chem property, if a chemical can even initiate that
21 -- that early precursor event. And if not, that should
22 be considered in that filter.

23 On the expert system and high throughput assays,
24 again they felt that both -- both tools were very
25 complimentary in design, was able to be very informative

1 for how we think about that in combination with exposure
2 in a -- in what we're calling a risk-based model
3 approach. And then speaking about other pathways, as
4 estrogen's more akin to androgen, the prioritization
5 method would be more applicable to that pathway. But
6 certainly the thyroid would involve additional research,
7 because there are multiple ways of initiating thyroid
8 perturbation, and so that information, those assays will
9 be in the domain of our office in research and
10 development before we begin to prioritize for that
11 pathway.

12 Moving forward to EDSP-21, we'll continue to
13 refine and apply some of the recommendations that we've
14 received from the SAP. More importantly, we'll look to
15 update the EDSP-21 work plan, because that's our way of
16 articulating to the public where the agency plans to
17 head, how do we plan to move forward in implementation,
18 and what time scale, and what sequence.

19 But -- but the last bullet here is just to
20 remind ourselves, remind you, that our domain includes
21 more than the estrogen pathway, we're looking to
22 developing AOPs for the androgen, thyroid, and
23 surrogates, and using our science advisory panel as a
24 forum to engage with the public as well as with experts
25 across the country.

1 The next SAP I wanted to talk with you about is
2 the tier-one assays and battery review, and that was
3 conducted in May. The focus of the SAP was on the
4 performance of the tier-one individual assays and tier-
5 one battery. A lot of the impetus for this review came
6 from the SAB/SAP panel back in 1999 where they
7 recommended to the agency, hey, agency, once you validate
8 it, these tier-one assays, in several different labs, we
9 recognize that when you put this on a larger scale things
10 might be different. So when you have about 50 to 100
11 chemicals that have been run through tier-one, bring them
12 back to an external peer-review panel with an eye towards
13 optimizing or revising that process. And more
14 importantly to note, eliminating those methods that just
15 don't work, so, again, looking for that efficiency, doing
16 things faster, better, swifter.

17 Back in 2008, again the tier-one battery was
18 reviewed, this was a very open and transparent peer-
19 review process, and what they had to say at the time was
20 that this is an appropriate starting point to starting to
21 detect whether chemicals have the potential to interact
22 with the endocrine system looking across multiple taxa,
23 looking across multiple modes of action endpoints, and a
24 range of metabolism, and that necessary complementarity
25 and redundancy, if you will, is built in and is a good

1 place to start.

2 In 2013, again in May, the EPA looked at 21
3 chemicals specifically, that was a subset of the 52 that
4 we brought to the panel. Because it was a broader
5 representation of the 52, it encompassed a range of p-
6 chem properties, a lot of TOWs, as well as different
7 biological activities, herbicides, eudenticides
8 (phonetic,) et cetera, captured in that 21 subsample.

9 What we concluded in -- in May is that the tier-
10 one assays provide useful information, and continues to
11 do so, to indicate to the agency whether a chemical has
12 the potential to interact with the E, A or T pathways.
13 There were, in essence, in general, no major problems
14 identified with the tier-one assays in performance,
15 laboratories were able to execute each of the assay
16 protocols with respect to the test guidelines and achieve
17 that specified performance criteria.

18 There were opportunities for us to look at some
19 flexibility with some of the performance criteria, but
20 all in all the assays seem to be executed quite well.
21 Some -- there were some minor deviations from the
22 performance criteria, but, again the differences were not
23 substantial.

24 The panel as a whole looked at this review, and
25 at least verbally what the agency heard was that there

1 was concurrence with this 2008 SAP. It still is a good
2 battery to help us determine whether a chemical has the
3 potential to interact with the endocrine system, but,
4 again, we are waiting for the final report that will be
5 issued 90 days after the May meeting.

6 The next meeting that we had with the science
7 advisory panel focused on our tier-two test method, and
8 this particular SAP was focusing on the validation
9 efforts that the agency has been processing from 2001 up
10 until today. And here is a quote from ECVAM on
11 validation, "That is a scientific process by which the
12 reliability and relevance of an assay method are
13 evaluated for the purpose of supporting a specific use."

14 And reliability, as defined here, is that root
15 producibility of results from an assay within and between
16 laboratories, so within a lab can they do it, and then
17 across several labs with different abilities can they
18 still follow the protocol and execute. The relevance is
19 defined here as whether a chemical -- whether a test is
20 meaningful, can it -- can it answer the questions that
21 we're seeking to answer and is it fit for purpose.

22 The agency followed a five-step validation
23 process for all of the four ecological tier-two test
24 methods that we have presented to the SAP, the first
25 involves the method development and preparation of a

1 detailed review paper. This involves a lot of published
2 literature searching, just seeing what's out there so
3 that we're not starting from scratch or that we're not
4 being redundant to existent test methods of building on
5 what's already been done.

6 The second step is a prevalidation step, and
7 this is what we term as intra-laboratory validation where
8 we're making sure that the test method can be done within
9 a lab with sever different chemicals and then we're --
10 we're optimizing that protocol as we move forward.

11 So getting it ready for that next step of
12 validation, which is the third step, and that's an inter-
13 laboratory phase and that's what we vantaged in the
14 Office of Science Coordination and Policies where we
15 chose very wide-ranging laboratories, some labs that just
16 have no experience running fish assays or frog assays,
17 all the way to laboratories that really are proficient,
18 they have demonstrated that they've been doing this. We
19 wanted to get that range of experience, so that we can be
20 informed as an agency for how do we need to build that
21 test guideline so that it can be reproduceable and that
22 labs, whether they be inexperienced labs or most-
23 experienced labs, can actually get them to work.

24 The fourth step is what we -- we denote as our
25 science advisory panel review that we just had, that's

1 very important to receive expert opinion on how well
2 these study protocols were executed in the different
3 laboratories. But more importantly, how can the agency
4 improve upon that to ensure that, again, contract labs
5 can do these studies, and that's prior to regulatory
6 acceptance, of course. There's several steps that are
7 not listed here that, you know, is required before a test
8 method is wholly adopted, and that is the development of
9 a test guideline as well as standard evaluation
10 procedures.

11 Here's a listing of the tier-two test methods,
12 again we talked about the RAT as being already validated
13 and OECD approved. As we walk through the ecological
14 toxicity sites, I just want to emphasize that a lot of
15 the work was done in collaboration with international
16 partners, so the fish and the frog studies were done in
17 collaboration under a U.S./Japan bilateral with the
18 Ministry of Environment where they have a lot of
19 experience working with Mendonca, as well as with
20 veinapeslavis (phonetic), and there -- again, there was
21 definitely a leveraging of resources where we optimize
22 both experience as well as just conducting the studies
23 themselves.

24 We also collaborated with NOAA on the
25 invertebrate studies, again, lots and lots of experience

1 working with mice and copepods, as well as with the U.S.
2 Army and USGS on the bird study, so a lot of experience
3 has been put together here and over -- over a decade of
4 work in terms of the validation effort. But starting
5 from the bird, the bird is a unique species because it
6 helps us determine long-term effects of maternal
7 transfer. We look to the Japanese quail and other
8 species listed here, because of its reliability and
9 robustness in a laboratory setting for a long-term study,
10 so, again, looking for that practicality was really
11 important to us.

12 The fish study, I just want to note here that we
13 have a multi-generation toxicity test developed by our
14 Duluth laboratory, as well as the Mendonca -- Mendonca
15 reproduction test. And here we look to economizing from
16 a multi-generation study to a single-generation study, so
17 similar to the RAT study is what we've presented for the
18 fish.

19 For the frog study, here we're looking at
20 characterizing perturbation, especially in the thyroid
21 effect for normal developments and growth in
22 veinapeslavis. And then lastly the invertebrates, we
23 have a lot of experience using mice because this is a 158
24 required study, a life-cycle study, and we are extending
25 this to a multi-generation study for use in our tier-two

1 test methods.

2 The SAP for the tier-two test methods, we
3 received a lot of invaluable recommendations. And one of
4 the take-home messages that we heard from the meeting was
5 the need to not only put forward a very clear test
6 guideline with very specific performance criteria that
7 need to be met and then where flexibility could be
8 allowed to -- to articulate that, but also a need to
9 follow up with training and providing expert
10 consultation. So that we're not just issuing a test
11 guideline, but making sure that we walk through the
12 process with the contract laboratories or those who are
13 conducting these assays, and we certainly have taken --
14 taken note to that.

15 There are a couple of other recommendations that
16 were made by the panel that we're working actively in
17 putting together, and that is a histopathology workshop
18 looking at ensuring that slides for histopathology are
19 read consistently across species and across the three
20 studies, minus the invertebrate, because we don't do
21 histopath on invertebrates.

22 And the second workshop to focus primarily on
23 statistical methods, because a lot of the data will be
24 coming in and there will be opportunities for metadata
25 analysis. It was important from the panel's point of

1 view, and ours as well, to ensure that we have sound
2 statistical methods designed to fit the test methods
3 themselves, and that report will be, again, coming out in
4 90 days. So early October we should be receiving that
5 final report, but we're moving forward again on some of
6 these activities that we can do so now.

7 The last SAP is scheduled for this month, July
8 30th to August 2nd, and this one focusing on the weight
9 of evidence. So if you can note that from the beginning
10 of January up until now, we're just increasing in
11 complexity on the issues, but this final report will be
12 due to the agency in November of 2013.

13 The focus of this particular SAP at the end of
14 the month will be on the reliance on the weight of
15 evidence report that we had issued back in September of
16 2011, there we articulated how the agency was going to
17 consider the endpoint that was elucidated in the tier-one
18 data, as well as how we consider other scientifically-
19 relevant information, and more particular the 158 data,
20 that can be very informative to dose setting, modes of
21 action, what we know about that chemical and bringing
22 that all to bear.

23 So what -- what the agency has done is that
24 we've selected from the 21 subsample and that we brought
25 to the SAP when -- when evaluating the tier-one assay and

1 battery review, we chose specific case studies to help us
2 demonstrate to the panel some of the challenges that the
3 agency will encounter when we're blending those two data
4 sets together. But more importantly, asking the question
5 of whether the agency has interpreted that weight of
6 evidence accurately to ensure that we've identified
7 whether a chemical has the potential to interact with the
8 endocrine system.

9 Some of the focus questions for this review will
10 be on, you know, again, just -- just making the decision
11 of whether that chemical has an interaction with the E
12 pathway, the A pathway, or the P pathway, because that
13 will be informative to the agency on how do we move
14 forward. And what we mean about moving forward doesn't
15 necessarily automatically mean moving forward to tier-
16 two, we can, in -- in fact, decide that there's an
17 interim assay that we can -- we can ask for that will
18 help us answer the question.

19 For example, if we see a thyroid perturbation
20 occurring, we're not quite sure and it's a little bit
21 fuzzy within the tier-one data set. We don't necessarily
22 have to jump into a multi-generation study, we can
23 certainly ask for a thyroid-specific assay, and we've
24 done that in the past. So that's a specific focus for
25 this last SAP.

1 Here's a slide that I've shown -- I'm showing a
2 parallel process both for the SAPs, for the external peer
3 review, as well as for how the agency's moving forward on
4 our information-question request. So we just talked
5 about the SAP schedule and -- and that report, just to
6 note, as our anchor date is in November of 2013.

7 Starting from the top information question request for
8 the initial ICR, and that's relating back to the list-one
9 chemicals, tier-one, that particular ICR has just
10 recently been approved by OMB July 3rd and that allows
11 the agency to issue catch-up orders for the list-one
12 chemical.

13 The second ICR that was just issued for a 30-day
14 public-comment period on -- on June 30th is focusing on
15 the list-two, tier-one test orders. So list-two was
16 moved -- was reduced from 134, that we had issued back in
17 November of 2010, to 109 based on looking at physical
18 chemical properties, chemicals that we've already issued
19 to the agency that are voluntary cancellations or their
20 interest in leaving the pesticide market, those chemicals
21 were removed and that left us 109 chemicals. What we
22 also issued in that package was our policies and
23 procedures for how we plan to procedurally process the
24 test orders for Safe Drinking Water Act chemicals, as
25 well the ICR that defines the estimate of burden for --

1 for calling in the tier-one data, as well as processing
2 it.

3 The third ICR that came out for a 60-day comment
4 period, so this is at the very front end of the process,
5 was that for our list-one, tier-two test orders, and this
6 in -- again, in anticipation that when we -- when we
7 conclude our weight-of-evidence assessments, we will have
8 not only the science in place, including the tier-one
9 test methods, but we will also have an ICR that will
10 allow us to issue test orders for any necessary tier-two
11 tests needed for a chemical. And that had started back
12 in June of 2004, so all of that -- all of these
13 particular activities are really interconnected and they
14 all fit together to ensure that we're operationally
15 moving forward on a very efficient time scale.

16 So this particular slide is a little bit of a
17 report-card slide, just going back to what we had
18 presented in the comprehensive management plan and seeing
19 how well we've done. So from the top, SAP on chemical
20 prioritization, that was completed in January. The next
21 cell here, of course we won't be completing any of the
22 DRs or weight of evidence until after the SAP in
23 November, the November report's received. The agency
24 will consider all the recommendations before completing
25 the weight of evidence, and the final reports will be

1 proceeding from that point forward.

2 The next cell here, again the SAP for tier-one
3 assay and battery, was conducted in May, and then the
4 weight of evidence will be at the end of the month. Our
5 intralaboratory validation efforts for tier-two test
6 methods proceed forward, we await the recommendations
7 from the SAP, and we'll look forward to clarifying our
8 test guidelines in ensuring that it's going to be
9 readable, and executable, and -- and -- and certainly
10 clear enough that we can move forward.

11 And then the last item here, ICR for public
12 comment, was issued for the list-two chemicals, but, of
13 course, noting that there are several additional steps
14 that need to be had before the agency even begins to
15 issue test orders, and that is the 30-day public-comment
16 period that's available, and then another 30 days for RMB
17 for determination review of the ICR.

18 So that completes our milestones for 2013. As
19 we look forward to 2014 and beyond, the -- the program is
20 looking to again maximize on the use of the current
21 technology, the advancements that we've been just talking
22 about through the TOX-21 effort. I think it's important
23 to note that in our work plan we had described as
24 incremental step-wise progression before we start
25 utilizing those test methods in risk assessment, so it's

1 not going to be an on/off light switch, it's not going to
2 be a -- a clearly-defined time point that we say, we
3 succeeded now in incorporating computational toxicology.

4 I -- I think for any change there's going to be
5 a gradual transition, and gradual sometimes means you
6 might not see it. There might be decisions made within
7 the Health-Effects Division and EFED that aren't --
8 aren't on the scale of being quantifiable, they may be
9 just a consideration that we may not need the study
10 because we've got an existent study. So it doesn't have
11 to be as flashy as saying, well, we've utilized high
12 throughput and here's the number of animals that we've
13 saved, and I think that transition is very realistic.

14 So I -- I just wanted to share with you one of
15 my favorite authors and book by Malcolm Gladwell, and
16 it's titled, "The Tipping Point," because I believe
17 that's where we're all approaching when we're talking
18 about transitioning to the high throughput methods.
19 We're at that point where we can see a change, and how we
20 approach it is going to be really critical. His quote is
21 that, "If you want to bring a fundamental change in
22 people's beliefs and behavior, you need to create a
23 community around them where those beliefs can be
24 practiced, and expressed, and nurtured."

25 And I think that reminds me of the community

1 that we have around the table here and -- and that's
2 really critical to reemphasize, that as we transition to
3 these new methods we all have to come together to ensure
4 that we're utilizing them in a way that is comfortable,
5 that's understandable, that gives us assurance that we're
6 not missing anything, that we're outcome neutral in our
7 test methods and the test methods that we choose, but
8 also to be reminded that when we're transitioning towards
9 use of newer methods to not forget that we have existent
10 methods that are validated. We have data already
11 available, we have p-chem properties that you don't even
12 need to test, and you can actually make decisions to
13 reduce animal testing and be more efficient in your
14 processing.

15 So I leave you with that thought and I thank you
16 so much for your attention, and I open up for any
17 comments you might have.

18 MR. BRADBURY: Thank you. Gabriele and then
19 Cynthia.

20 MS. LUDWIG: I have a series of three questions
21 or comments. Just for my own edification, what's --
22 what's the restriction of being manufactured in the
23 United States or what's the definition of that, I'm just
24 trying to understand that? You said earlier in the
25 presentation that you can only ask for data call-ins if

1 it was manufactured in the U.S., use in the U.S., the
2 company is based in U.S., what's that definition?

3 MS. MANIBUSAN: So our test order, or ability to
4 issue a test order is defined as having someone to issue
5 that test order to, so we need to have a chemical
6 manufacturer, it can't be an orphan chemical, for
7 example. And it can be an importer, so it's chemical
8 manufacturers, or importers, pesticide registrants, those
9 are the communities that we can issue test orders to. If
10 there's no one manufacturing that chemical, for example,
11 there's no one to issue that test order to, so we have no
12 authority.

13 MS. LUDWIG: Okay. And the other question is,
14 you had mentioned working with Japan, but where is --
15 what about EU, because they have some immediate deadlines
16 in terms of hazard cut-off criterias for endocrine
17 disruptors? And so I was just curious, has there been
18 any dialogue with EU regulators as to what they're doing,
19 are they following similar methodologies? I'm just
20 coming back to Sheryl's point earlier that EPA's track is
21 totally different from EU's, because the registrants will
22 go ballistic?

23 MS. MANIBUSAN: So maybe I can start with how
24 we're working internationally on test-method development,
25 and then we can talk a little bit about the EU

1 activities. With regards to our test methods, for our
2 tier-two in particular, we're working very closely with
3 the OECD. In fact, there is an upcoming meeting planned
4 in October in the U.S. for the OECD VMG eco group to meet
5 specifically to discuss the tier-two test methods and
6 adoption to the OECD process. And as you've noted, maybe
7 for the tier-one assays we were also working very closely
8 and many of those assays have been adopted by OECD as
9 well.

10 With regards to the EU and their -- their
11 legislative deadline, which is quickly approaching, of
12 December 2013 to establish criteria for endocrine-
13 disrupting chemicals across the plans' protection, as
14 well as for the bio-side regulations, they are at the
15 front end of where we perhaps were in 1999 in defining
16 what EDCs are.

17 Since -- since that has been put out from the EU
18 in terms of their revised criteria of having two
19 categories, we have been meeting with the EU commission
20 on a monthly basis just to check in on where we are,
21 we're making sure that we are looking for opportunities
22 to harmonize where we can and where it makes most sense.
23 And I think it's very likened to the pesticide global
24 reviews that we conduct here, where we're harmonizing on
25 the definition as well as the type studies that are

1 supported for those definitions.

2 MS. LUDWIG: And then my -- my third question
3 is, in -- in the whole presentation it was really about
4 trying to figure out the methodologies and -- and then
5 figuring out which chemicals do we need to get the data
6 in from, but what's the -- what's, like, the endpoint? I
7 mean, has there been discussions about, okay, so you find
8 something that has a thyroid effect or has an -- an
9 androgen effect, then what, so where's that discussion?
10 And, I mean, I really -- it's already starting to be part
11 of the thinking in -- in the actual risk assessments, but
12 where's that part of the discussion on this?

13 MS. MANIBUSAN: So -- so that's a really good
14 question, and I -- I go back to the FFDCA's statute where
15 they are very specific to the agency about developing a
16 program to screen and test chemicals for endocrine-
17 disrupting ability, and at that time there was
18 recognition. There -- there was no other program that
19 can do that particular function, nor were there test
20 methods designed to specifically target that mode of
21 action or toxicity pathway, so a lot of the time that
22 I've described in my timeline was spent developing those
23 test methods and doing the work of building out that
24 infrastructure.

25 So while I'm mindful that it sounds, from my

1 presentation, like I've strung together scientifically
2 scientific advisory panels, that is certainly not the end
3 game. The end game is, as you've described, to ensure
4 that we're public-health protective in protecting
5 wildlife from chemicals that have the ability to perturb
6 the system, but we can't do it without test methods in
7 place, we can't do it without ICRs in place, and we -- we
8 can't do it without making sure that those test methods
9 are validated, so that's the homework of 2013 that we've
10 been doing.

11 The end game is going to be really important,
12 because it will answer the question, but how we move
13 through that is not different than any other endpoint
14 that we're current evaluating. Whether it be
15 carcinogenicity or developmental toxicity, all of those
16 particular toxicity endpoints are considered when we
17 evaluate a chemical within a risk assessment.

18 Where I talked about the tier-one data, that is
19 not information that would go directly to informing the
20 risk assessment. It would be helpful to characterize
21 that information and present the mode of action
22 certainly, but not give you that dose response to do a
23 quantitative risk assessment, where that information
24 comes into play is the tier-two test method.

25 So when a chemical moves into tier-two and it's

1 indeed demonstrating that it has ability to interact with
2 the endocrine system, let's say there's thyroid
3 perturbation and we have a dose associated with that
4 effect, we'd use that information and put it together
5 with the toxicity profile for that chemical. So, again,
6 that chemical, if it's a pesticide active, it would have
7 158 information, it would have a developmental toxicity
8 study, it would have a multi-generation reproduction
9 study, it would have a carcinogenicity study.

10 All of those endpoints would be put together in
11 an integrated evaluation, weight of evidence, if you
12 will, and a determination would be made on what is the
13 most sensitive endpoint. It may not be the endocrine
14 endpoint that is the most sensitive, it may be a
15 carcinogenicity endpoint, it may be a liver-toxicity
16 endpoint, there are other toxicities that could be at
17 play at lower doses.

18 Our assurance, when we're melding that tier-two
19 data alongside with the 158, is that we're ensuring that
20 we're capturing that sensitivity. If it in deed is the
21 most sensitive endpoint, then that will drive the point
22 of departure and it will drive the risk assessment. Does
23 that make sense?

24 MR. BRADBURY: Thanks. Cynthia and then
25 Cheryl/Sheryl.

1 MS. PALMER: That was a fascinating
2 presentation, so thank you very much. I'm very happy
3 that EPA is doing this effort and I'm happy that you're
4 at the helm. My question is you've talked about FIFRA,
5 and FFDCA, and the Safe Drinking Water Act, and I'm just
6 wondering if EPA has a parallel track for the industrial
7 chemicals, the TOSCA chemicals, and if not, as the nation
8 thinks about TOSCA reform, are there lessons learned, do
9 you think that you would be able to jumpstart a similar
10 effort for industrial chemicals or that to become part of
11 your jurisdiction?

12 MS. MANIBUSAN: Great question. Thank you very
13 much for the compliment. Let me use the list-two
14 chemicals in answering your question. So list-two
15 chemicals is inclusive of 41 active ingredients from the
16 '07/'08 registration-review schedule, as well as 68 CIDWA
17 nominated chemicals from their CCL-3 list. Of that list,
18 there's 20 TOSCA chemicals that are in parallel with
19 their -- with their work plan. And so my short answer is
20 when we're considering Safe Drinking Water Act chemicals,
21 they are inclusive, if not overlapping, with industrial
22 chemicals.

23 And furthermore, the -- the agency has the
24 ability to reach out under different statutes if we find
25 that a chemical needs to be considered for endocrine-

1 disruption screening, there's certainly a lot of
2 flexibility there already built into FFDCA.

3 MR. BRADBURY: Cheryl/Sheryl and then Pat.

4 MS. CLEVELAND/KUNICKIS: I too want to thank
5 you. That was a great, much-better, in-depth
6 presentation than we've gotten in the past when we just
7 got some timelines and some updates, so really thank you
8 for threading that together. This is such -- can be such
9 a contentious thing for timelines or testing orders, so
10 it's great to get that overview and realize how far
11 you've come.

12 My question has to go back actually a little bit
13 to the -- the legacy question, the manufacturing test-
14 order questions, because the original list, when it was
15 drafted, did have some legacy. It sounds like some of
16 that's fallen off, if you didn't have somebody to issue a
17 test order to.

18 There are also some legacy uses that may have
19 been shifted, and so that your actual enclosure now may
20 be much -- far left than -- so my question is, as you
21 mentioned several times, exposure, exposure through here
22 and -- and the -- well, I have a comment question. The
23 -- the -- the Elsie Hesse (phonetic) group that was
24 looking at this through risk 21 on the drinking water
25 test -- test case, one of the things they kept coming

1 back to is rather than refining the hazard side
2 completely, make sure you're refining the exposure side
3 appropriately too.

4 So that comes into did you have some things that
5 have ended up on that list now, because the list was
6 drafted, and it was using old data, and 10 years down the
7 road maybe they're not even there anymore, what effort
8 has there been to -- done on the exposure side for that
9 list, and is that part of what you're asking for when you
10 say that there's this ICR out there for public comment?
11 What do you want from the public comment, is -- are you
12 asking for do things belong there, are you asking for
13 quantization of exposure, are you asking for monitoring
14 data, what -- what is the public-comment period intended
15 to do on the -- on the list that's -- that's been posted?

16 MS. MANIBUSAN: Okay. So -- so just to clarify
17 your question, which is a great one, so I -- I make sure
18 I'm answering the right question, your -- your question
19 is centered on the list-two and the list-two package that
20 is out for public comment, it's a 30-day public comment
21 period, correct?

22 MS. CLEVELAND/KUNICKIS: (Nods head.)

23 MS. MANIBUSAN: Okay. So let me just describe
24 to you process, because that's the world I live in. So
25 that list was, again, proposed back in 2010, and from

1 that initial up-front, 60-day public-comment period we
2 received no less than 600 unique comments. And among
3 that grouping were a lot of focus on exposure
4 determinations for the drinking water chemicals, because,
5 again, the statutes, CIDWA, reinforces the need to make
6 sure that it -- it may have exposure in a drinking-water
7 source to a substantial human population.

8 So we rely on Office of Water, who -- who
9 developed their CCL-3 list based on that determination.
10 They utilize exposure information from their ground-
11 water, drinking-water sources, from the ambient water-
12 quality information, as well as from TRI, so from
13 environmental-release information, and from production
14 information, those are the sources of information that
15 we, as an agency, rely upon to make that exposure
16 determination. And again, that's the -- the same way for
17 the CCL-3 process.

18 When we look to finalizing the list-two
19 chemicals, we did a couple of things, we -- we did a
20 really in-depth look at the chemistry, making sure that
21 p-chem property-wise they were testable, they were --
22 they were stable enough for environmental from an
23 exposure point of view, and that they were still
24 currently manufactured, all of those feed into exposure,
25 of course, right?

1 And where we look to in terms of a database to
2 identify manufacturers that are currently listed and
3 available to us is through our chemical-data reporting
4 system, and that's under our Office of Pollution
5 Prevention and Toxics, that's where we start. There's
6 certainly some additional work needed to be done to
7 identify all the chemical manufacturers, but that's where
8 we start to ensure that those chemicals that we've
9 presented in that list still has a chemical manufacturer
10 associated with it. Does that answer your question?

11 MS. CLEVELAND/KUNICKIS: Almost. So what are
12 you looking for in the current public-comment period?

13 MS. MANIBUSAN: Thank you. So in the -- in this
14 public-comment period this is the final stage, if you
15 will, before it goes to OMB, so this is our opportunity
16 to get insight from the public on how have we done in
17 that finalization, have we missed any new comments on the
18 list, have we missed any comments on the ICR.

19 So as we've presented our cost estimate and
20 burden of cost, that information is open for public
21 comments. The whole package is, but recognizing, of
22 course, that the list and the policy itself have gone
23 through extensive public comment and review and we've
24 spent the last three years focusing on responding. And
25 you'll see in our response to the public-comment

1 document, which is about this -- this level high and
2 deep, that we've spent a lot of time working with our
3 partnering offices, with our Office of General Counsel,
4 ensuring that we were responsive and we've considered all
5 of the public comments.

6 MR. BRADBURY: Okay. Pat and then Ray.

7 MS. BISHOP: I want to thank you too, Mary, that
8 was a great presentation. The January 2013 SAP meeting
9 focused on the estrogen-pathway-expert system. And for
10 those of you who weren't aware of it, it -- you had
11 elements of, you know, looking at structure -- chemical
12 structure, chemical properties, filters, there was a use
13 of a lower throughput, was it a trout -- a rainbow trout
14 liver slice system to identify ER receptor, finding
15 chemicals, and then I think you had elements where you
16 tried to correlate that to some of the high throughput
17 assays that are also looking at ER.

18 Could you just give us a little background on
19 what's being done for the AR binding and the thyroid
20 pathways, you know, using that kind of process; and also,
21 you know, what kind of timeline you're looking for, for
22 them; and finally the -- where is the ER system at this
23 point, are you ready to use it, I know you got a lot of
24 feedback from SAP on that; and are you going to use that
25 -- going to go forward with that waiting for the other

1 two to be done, or, you know, are you going to start
2 using it right away?

3 MS. MANIBUSAN: Okay. So thank you very much
4 for that question. The January SAP is -- is a very
5 exciting SAP for me and for many others, because it was
6 looking to pioneer in the direction of application for
7 these new test methods.

8 The quick answer to your question is that the
9 state of the science will drive the pace in which we
10 demonstrate application, even for a priority setting,
11 because the endocrine system is so integrated, and it's
12 so complex, and the statute that we work under is so
13 specific.

14 EDSTAC was even mindful of that in -- in stating
15 that even for prioritization and especially for the tier-
16 one screen, we want to be cognizant that we are specific
17 and sensitive at the same time. So more accepting of
18 perhaps some false positives when we're screening, but
19 certainly not accepting of false negatives. So that's
20 kind of the umbrella tenant, if you will, those guiding
21 principals that we'll be utilizing as we move forward,
22 regardless of whether it's E, A, or T.

23 For the estrogen-receptor-expert system, as
24 we've presented in January, the coverage was excellent
25 for food and nonfood inerts, as well as for anti-

1 microbials, because that's what the chemical domain space
2 in which it was built under. It was not so good in
3 capturing some of the fragrances, so there's still some
4 work to be had. Having said that, based on 70 percent of
5 that universe coverage, only five percent were identified
6 as having ER-binding activity and gene activation, so
7 that easily can help us prioritize, based on E alone, our
8 next set of chemicals perhaps. And then when we consider
9 exposure together with that, again it might -- it might
10 whittle that down. So that's some of our thinking,
11 there's still some work on the ER-expert system.

12 With respect to the high-throughput, what we
13 heard from the panel, and especially in their final
14 report, is, again, some additional work needs to be done
15 on high throughput. What we brought to the panel was
16 specifically eight assays that paralleled closely with
17 rainbow trout data, so ER binding and gene activation.
18 There's certainly additional high throughput assays that
19 speak to the rest of the AOP, so downstream from those
20 early key events that could be informative. So the
21 agency is thinking about that information, alongside with
22 melding together the exposure information.

23 As we had stated in January, the ER-expert
24 system, the estrogen pathway, was our model, it's a
25 demonstration of the methodology that could be applicable

1 for the other pathways. Those pathways are still being
2 worked on, because it will be dictated by the science and
3 our understanding of AOPs for androgen and thyroid. I
4 can tell you our office of research and development are very
5 much focused on that effort right now, because we want to
6 make sure that we're not excluding any pathways and that
7 we're covering across taxa.

8 So it's just, again, a reminder we're not just
9 focusing on human health, but also on ecological impact
10 as well. So there's still some research to be had, we
11 feel that the data is very promising, the methodology is
12 in place for us to do things much smarter, much more
13 strategically.

14 MR. BRADBURY: Okay. Ray, Susan, and Mae, and
15 then we'll close this session.

16 MR. MCALLISTER: Fortunately most of my
17 questions have already been addressed, but I wanted to
18 ask about the comprehensive management plan, how will
19 that be kept up to date, and -- and will it, and will
20 that updating process involve the -- the parties who are
21 responsible for conducting the testing?

22 MS. MANIBUSAN: Yeah. So one of the
23 stipulations with our Office of Inspector General, when
24 we had produced the comprehensive management plan, was
25 also commitment to annually update that management plan,

1 so we're in the process of updating it for -- for
2 issuance of the next version by the end of the fiscal
3 year. That updating will, of course, involve all of our
4 partnering offices and inclusive of our office of
5 Research and Development, because one of the primary
6 components of that plan is how do we plan to move forward
7 with EDSP-21, and that will be reliance on the science
8 and its readiness for application.

9 MR. MCALLISTER: What -- what about the
10 companies who are in -- responsible for conducting the
11 testing that you come up with, I mean, what role do they
12 have in updating this plan?

13 MS. MANIBUSAN: So the plan is an internal
14 strategic plan where we have advice or recommendations
15 from our stakeholders. We plan to, of course, consider
16 as we move forward, as we're doing here today, as we do
17 with our SAP reviews, we bring all of those
18 recommendations together as we think about moving ahead
19 to the future. The future being completion of our
20 weight-of-evidence assessments, data-review processing,
21 incorporation of computational test methods, introduction
22 of new test methods perhaps that are ready and available
23 online for utilization.

24 MR. BRADBURY: And, I guess, add the ICR process
25 too, but that's opportunity to look at timelines and

1 various causes and procedures. Okay. Susan and then
2 Mae.

3 MS. FERENC: Thanks. I'm glad you brought up
4 the ICRs, because that's kind of what I wanted to -- to
5 talk a little bit about. Of course, OMB's responsibility
6 in this, and -- and this ICR for list-two is at OMB, and
7 obviously EPA will accept comments on it, but comments
8 also go to OMB, and it's OMB's responsibility to make
9 sure that public and private resources are appropriately
10 spent and allocated for the agency to make the decisions
11 it needs to make.

12 And I had assumed that these SAPs you've been
13 pulling together on the -- on that tier-one battery, and
14 assays, the weight of evidence, and OSRE, and all of that
15 would be -- the results of those would be included in
16 your consideration of moving forward with how
17 appropriately to test the list-two chemical, and it's a
18 little disconcerting to see that the ICR looks exactly
19 the same -- test orders are exactly the same for list two
20 as they were for list one.

21 And in the ICR itself, the request and the
22 supporting statement, there's no reference to any -- any
23 results of the SAPs on whether or not -- and the weight
24 of evidence is obviously the -- the most important SAP to
25 happen yet, is, in fact, the -- the information coming

1 out of the tier-one, list-one chemicals, give the agency
2 the information it needed to move on, to make the
3 decision of whether or not a chemical does or does not
4 have the potential to interact. And that's a lot of work
5 that the SAPs are doing on this, and it's not -- it
6 doesn't appear to be being incorporated at all in moving
7 forward to list two.

8 Now, list two, of course, as you said, has 109
9 chemicals on it, so you're looking at \$50 to \$75 million
10 dollars worth of testing, plus the agency's
11 responsibility then for evaluating all the information.
12 And I guess my question is, why the need to -- as soon as
13 that ICR is approved in 30 days, you can send out test
14 orders. And then whatever the SAP -- the final reports
15 from the SAP really aren't going to be incorporated,
16 because the test order as approved -- as written as
17 approved, that gets the OMB control number and you're
18 kind of good to go.

19 So I guess my question is, why are you pushing
20 this ICR out now that looks exactly the same -- the test
21 orders look exactly the same as for list one without
22 knowing, without ever having demonstrated that, in fact,
23 everything you collected on the tier-one battery from
24 list one is needed, and necessary, and sufficient for --
25 for EPA to make their decisions on whether or not a

1 chemical does or does not have a potential to interact
2 with it?

3 And this leads into the second ICR, or the ICR
4 for tier two. I haven't read the transcript from the SAP
5 yet. I read the transcript from the SAP for tier-one
6 battery, but the -- a transcript doesn't appear to be
7 posted yet for the -- for the list two. But, again, an
8 ICR -- even for EPA comment right now, the ICR on -- on
9 the tier two seems to be a -- a little bit premature, I
10 guess, because, again, you still haven't full
11 information, been able to integrate all the information
12 from the SAP on this -- on this set of -- of tests to
13 really inform whether or not, you know, the test order
14 that you're looking to develop for all of those assays
15 that are currently listed for -- for tier-two testing are
16 appropriate and -- and do provide the practical utility
17 for the agency to make the decisions you need t make.

18 MS. MANIBUSAN: Thank you so much for
19 articulating that sensitivity, and it's the sensitivity
20 that the agency shares. As I stated during my
21 presentation, we are very cognizant of the cost of the
22 tier-one battery. We are also very cognizant of the cost
23 for data reviews, as many of our experts have been asked
24 and have been working very hard on reviewing the initial
25 lists and the tier-one data that's been received so far.

1 I just want to recognize that when the original
2 ICR was approved by OMB, they also provided terms of
3 clearance. And that terms of clearance articulated to
4 the agency that, hey, agency, before you move forward on
5 issuing additional test orders, we want to make sure that
6 you're scientifically anchoring those tier-one assays,
7 making sure that they're performing as expected, and can
8 provide the information that the agency intended when we
9 validated those tier-one assays.

10 To address that particular recommendation, the
11 agency has, as -- as we just talked about, provided our
12 evaluation of the initial list of chemicals to our
13 science advisory panel for review, we expect their final
14 report to come to the agency no sooner than September of
15 2013. Also in recognition of that terms of clearance,
16 what we issued not in the ICR itself, but in the policies
17 and procedures in the preamble, we noted that the agency
18 would not be issuing any additional tier-one test orders
19 until we've fully received the recommendations for our
20 SAP and have scientifically reviewed and anchored those
21 tier-one assays.

22 So in a -- in a -- kind of a -- a very
23 optimistic, perhaps, time-frame-wise, we would not be
24 issuing list-two, tier-one test orders earlier than when
25 we receive the final report. And, of course, the agency

1 would consider the recommendations in the final report
2 before moving forward. And we do understand and really
3 promote practicality and utility of data, we only ask for
4 data if we need to, and that's informative to the agency
5 in moving forward.

6 Then switching onto the tier-two ICR, again,
7 that's at the front-end stage, that is asking for a 60-
8 day comment period. What we've presented is a very-end
9 estimate, we noted that within our ICR, that we assumed
10 50 percent of list one would be moved forward for
11 additional tier-two testing, very high end. Well, we did
12 that based on the information that we have and it's still
13 projected, we also assumed a very high end of requiring
14 all five tier-two assays.

15 For an ICR, we are biasing toward a high-end
16 estimate because it requires us to do so. Without that
17 additional information, we're asking for public comments
18 on that information. What we're also presenting to the
19 public through SAPs is our -- our test methods for tier-
20 two, and that has gone through SAP, but that report won't
21 come back to us until some time in October.

22 There's a lot of work that's being done in a
23 parallel process, because both the SAP, in terms of
24 solidifying the test methods, producing test guidelines,
25 ensuring that they're reproducible, as well as making

1 sure that we have an ICR in place to issue test orders,
2 it's a multi-step process and it takes an enormous amount
3 of time, but it also ensures that we have the insights
4 and comments from the public in terms of, you know, the
5 test methods and -- as well as the cost burden that we
6 recognize. So there's many opportunities through
7 feedback, and there are just many, many steps to be had,
8 and we need to make sure that we're anchoring this
9 timeline to fit the timeline that we have for the list-
10 one chemicals as we move forward after November,
11 receiving the weight-of-evidence report, and proceeding
12 forward with completing those assessments.

13 But as we complete those assessments, it's -- it
14 will become even more critical for the agency to ensure
15 that if a chemical is determined to have the potential to
16 interact with the endocrine system and show warrant tier-
17 two test methods, that we have the science in place. But
18 we also have an ICR in place to issue test orders, so
19 that we're operationally moving forward. So those are
20 the guiding requirements, if you will or need, that we're
21 focusing on where we're putting together that multi-step
22 process and moving them along in a parallel fashion.

23 MR. BRADBURY: Okay. Mae?

24 MS. WU: Oh, thanks. I first had a couple of
25 just clarifying questions from your presentation, it's

1 the one -- the slide where you show the universe, the
2 EDSP chemicals, there's about 10,000 you had said, and
3 what makes up the 10,000? So you said, like, the CIDWA,
4 and the inerts for part of it, so is it, like, the CIDWA
5 PCL universe, less all the inerts, and then it's all --
6 is that -- and then all pesticides --

7 MS. MANIBUSAN: So --

8 MS. WU: -- is that right?

9 MS. MANIBUSAN: So the 10,341 is a summation of
10 unique, discrete chemicals, so there are things like wood
11 chip, and oil, and sand dust on a CCL-3 list. We removed
12 all of those and only kept unique chemicals with specific
13 cast members --

14 MS. WU: Okay.

15 MS. MANIBUSAN: -- so that we can test them.
16 But you have to be reminded that there is certainly a lot
17 of overlap across the chemical list, so the active
18 ingredients is 1,500. There's about 6,000 chemicals --

19 MS. WU: Um-hum.

20 MS. MANIBUSAN: -- on the CIDWA CCL-3 list, and
21 there's about 6,000 inert ingredients, so a combination
22 of food, non-food, and fragrances.

23 MS. WU: Okay. Wow.

24 MS. MANIBUSAN: But, again, once we cull that
25 out and we only look at discrete chemicals, that sums up

1 to 10,341.

2 MS. WU: Okay. And then later you say on the
3 CIDWA side you say that, "The mixtures are lower
4 priority," and what mixtures are you referring to?

5 MS. MANIBUSAN: The mixtures are a combination
6 of discrete chemicals, it can be a mixture of two active
7 ingredients. Not pesticides, but two -- two chemicals
8 together. My -- my frame of reference is a disinfection
9 byproduct where it's a mixture of different halogenated
10 chemicals, very difficult to test.

11 Per the recommendation from our SAP/SAB panel,
12 they said, hey, make sure you cover the single chemicals
13 first before you dive into mixtures, so that's why we put
14 that as a lower priority. We still have our line of
15 sight on it, it's just not right now, it's -- you know,
16 it's after we've gained experience and we've solidified
17 our approach for a single chemical.

18 MS. WU: Okay. Okay. And then my final
19 question is just trying to figure out now -- oh, this is
20 just where I'm getting confused. So when -- let's just,
21 you know, try to predict a little bit. When do we think
22 we're going to see stuff coming out of tier two, weight
23 of evidence, all that stuff done, and, like, incorporate
24 into it, are we talking, like, 10 years before we see it
25 happen for the first time, or are we talking, like, five

1 years, because, I mean, as you said, this has been going
2 on for a long time, and then I'm also wondering whether,
3 as all this stuff gets settled and then you're going on
4 with, you know, more or less, is it going to move a lot
5 faster once all this stuff is settled?

6 MS. MANIBUSAN: Okay. So I don't do predictions
7 really well on timeline and really follow through with
8 that, but let me kind of lay out the scenario a little
9 bit for you. So from our experience on tier-one test
10 orders for the initial list, it's about five years to
11 issue a test order, two years for data generation, the
12 data submitted to us with some extensions, because of
13 laboratory issues and scheduling, and another
14 complication with solubility perhaps, and then at least a
15 year for data review in-house, so that's five years some.

16 And then we have to put together the weight of
17 evidence, decide with -- with the weight of evidence
18 approach whether a chemical warrants tier-two. For those
19 situations, and hopefully they're rare, where a chemical
20 warrants tier-two, we'd have to issue test orders again
21 and allow for at least three to four years, because these
22 are longer-term studies. These are multi-generation
23 studies and we expect that the lab will have the capacity
24 to accommodate for these longer-term studies in a very
25 timely manner, a lot of assumptions built in.

1 Okay. So that's what five years out already
2 before we receive the data in a timely way, and we -- we
3 conduct our data review of the tier-two data itself
4 another year, so I'm still calculating about 11 years
5 now. So post-11 years we need to build that back into
6 the risk assessment, again looking aside other toxicity
7 information that we have from the 158 information for
8 pesticide actives, and build that into the risk
9 assessment, and again determine whether that endocrine
10 endpoint is the most sensitive endpoint, is it the lowest
11 point of departure, for example. You know, that's what's
12 going to dictate whether or not that risk assessment is
13 altered, in either case it would be qualitatively
14 characterized within the risk characterization section.

15 MS. WU: So --

16 MS. MANIBUSAN: But -- but let me --

17 MS. WU: -- oh.

18 MS. MANIBUSAN: -- complete your --

19 MS. WU: Oh.

20 MS. MANIBUSAN: -- your question, because --

21 MS. WU: Yes.

22 MS. MANIBUSAN: -- you said --

23 MS. WU: Okay.

24 MS. MANIBUSAN: -- well, over time will we gain
25 experience to move through this process swifter. And I

1 only want to leave you with the message that as we move
2 forward, technology will change. And we're hopeful that
3 computational toxicology, high throughput information,
4 more information that we understand about chemical
5 categories and classes of behavior where we can predict
6 and make more-targeted testing decisions, I think will
7 expedite the process as we move forward.

8 MS. WU: Okay. So the 11 years you're saying is
9 best case scenario really, like not seeing any delays
10 even from anything else, when we might see the first
11 real, like, outcome from initially?

12 MS. MANIBUSAN: If a chemical is deemed to have
13 no interaction after tier-one?

14 MS. WU: Right.

15 MS. MANIBUSAN: That is the --

16 MS. WU: Um-hum.

17 MS. MANIBUSAN: -- final decision.

18 MS. WU: Right.

19 MS. MANIBUSAN: So there's --

20 MS. WU: Okay.

21 MS. MANIBUSAN: -- a couple of scenarios in
22 there --

23 MS. WU: Right.

24 MS. MANIBUSAN: -- right. There's one negative,
25 there's no interaction.

1 MS. WU: Okay.

2 MS. MANIBUSAN: We're done, that's a decision.
3 There's -- yes, we see some interaction, but we think we
4 can ask for an intermediate study that can be done very
5 expeditiously, again, middle -- middle ground. And then
6 the worst case scenario is, yeah, a chemical does have
7 interaction, we think it warrants multi-generation
8 studies, longer-term studies, and they have to move
9 forward in -- in conducting those particular long-term
10 complex studies.

11 MS. WU: And when you talk about the interim
12 ones, would that interim study be sufficient to
13 incorporate into risk assessment once you get a --
14 something out of that, or then does that -- you know,
15 depending on the outcome, could it move into, like,
16 having to be tier-two?

17 MS. MANIBUSAN: So you have to just be reminded
18 that our focus is on endocrine disruption --

19 MS. WU: Right.

20 MS. MANIBUSAN: -- and the potential to do so,
21 and we're looking at those specific toxicity pathways.
22 If that interim study is able to give the agency an
23 answer to whether that chemical really initiates that
24 toxicity pathway, then that answers our question.
25 Quantitatively it's not necessary to inform the risk

1 assessment, we're just looking to answer the question of
2 whether that chemical has the ability to interact and, if
3 so, at what dose.

4 MS. WU: Okay. Thank you.

5 MR. BRADBURY: Now maybe I'll -- a couple of
6 words to close our this last set of questions. We do
7 have -- there are some things that are in play, so the --
8 as Mary said, the weight of evidence analyses will start
9 to pick up after the SAP that's coming up, and we've
10 targeted -- during 2014 we'll start to make some
11 decisions. So we may be starting to conclude some
12 chemicals that don't have any potential and, as Mary
13 said, they're done.

14 We may see some that do have potential, and
15 that's where a combination of these maybe short-term
16 focus tests or having tier-two assays available so that
17 we can get on with it and -- and -- and sort it out. I
18 think some of the insights that may suggest that the --
19 it may not be quite as challenging as it seems. It's
20 still going to be challenging, but we know from the E
21 work that Mary indicated, five percent of that universe
22 has the potential to bind to the estrogens out there, 95
23 percent of the chemicals so far look like they don't even
24 bind to the estrogens out there. If you can't bind to
25 the estrogens, you can't start that pathway.

1 Now, who knows if that's going to play out
2 across A and T, but that may give us a sense that we may
3 be able to focus more. And then if some of the other
4 technology comes online, what we're doing now, five years
5 from now looking back, we'll, go, what, geez, how do we
6 -- we could do it a whole different way? So -- so it's
7 sort of hard, as Mary said, to project the -- the time
8 lines, but what we're learning so far and what this
9 technology could provide are things that we're hoping
10 will shorten the time, but not lose confidence in the
11 decision making.

12 MS. MANIBUSAN: Just -- maybe just to -- to
13 close out, I just remind folks that our 2013 calendar is
14 not yet done. We still have one SAP to embark on, and
15 that will be very informative to influencing the
16 timeline, so that ability to use other scientifically-
17 relevant information to inform us of whether the chemical
18 even needs to move forward for screening is going to
19 expedite that time frame. So I don't want to leave you
20 on a -- on a negative note, perhaps -- perhaps that
21 there's a lot of work still to be done, a lot of
22 questions that still need to be answered before we can
23 project out.

24 MR. BRADBURY: Okay. Thanks, Mary. And thanks
25 everybody, great questions. We're not going to do the

1 break. But I think folks have been taking a break when
2 they need to, so that's good. So we're going to move
3 into the work group on comparative safety statements and
4 I'll turn it over to Marty.

5 MS. MONELL: Thanks, Steve. I would just the
6 presenters and my group to come on up. While they're in
7 transition, I just want to give everybody a little bit of
8 background for this particular work group, we -- we are a
9 creation. It's the comparative safety statements' work
10 group, we are a creation of CPDC that occurred about
11 three-and-a-half, four years ago. It was to acknowledge
12 an interest in consumers in sort of labeling information
13 about the relative safety or greenness of products
14 generally, consumer products generally, so the CPDC asked
15 for the formation of a work group to sort of look at what
16 we might be able to do for pesticide labels.

17 And this is in recognition of the fact that
18 FIFRA really is quite concerned about false and
19 misleading statements on pesticide labels, so that it was
20 felt that we needed to be careful in -- in our -- our
21 allowing and review of proposed statements on pesticide
22 labels. So essentially, after about a year of intensive
23 discussion and -- and investigation, we came up with two
24 -- two approaches, one was to allow the use of the DFE,
25 design for the environment logo, on a pesticide label,

1 assuming that -- that the -- the ingredient -- the active
2 ingredient could pass the screen for the DFE program,
3 which is administered through our sister organization,
4 OPPT, and -- and then the -- the second avenue for
5 providing information on the label was factual
6 statements, so that certain factual statements that were
7 very easily verified would be allowed on the label.

8 And then the -- the -- the emphasis at the time
9 was on any microbial products, so we ventured down the
10 path of having a pilot. And you're going to hear the
11 results thus far of a pilot, and -- and which has
12 subsequently be extended, and then a couple of new areas
13 that we're -- that we're delving into as this -- this
14 proceeds.

15 I will say that I like to talk about our
16 approaches being one of a three-legged stool, there's the
17 interesting consumers in -- in all things green and
18 information about that aspect of any product; there's the
19 interest, obviously, of the -- the industry folks in
20 marketing to that interest in consumers; and then there's
21 the interest of EPA in making sure that we follow the
22 law, that we utilize good science, and that we don't
23 allow false and misleading statements on labels; and all
24 of that at the same time trying to create a fair, level
25 playing field for -- for all those interested

1 stakeholders.

2 So I'm going to turn it over now to Jackie
3 Campbell and Michael Hardy, who will give you an update
4 on the -- the two pilots.

5 MS. CAMPBELL: Hello. I'm going to update on
6 the design for the environment for the antimicrobials.
7 As Marty indicated, we've extended the pilot for an
8 additional two years, until May 3rd, 2015. As of today,
9 there are nine products that have gone through the
10 process and we've granted the logo to all nine. One
11 company did decide not to support the logo any longer, so
12 there's actually eight currently using the logo.

13 We've also expanded the active-ingredient list.
14 We began with three actives, which are citric acid,
15 lactic acid, and hydrogen peroxide. After working
16 collaboratively with DFE, we expanded the active
17 ingredients to include isopropanol and ethanol and then
18 we also modified the qualifying criteria. Previously we
19 allowed only TOX-3 and TOX-4 pesticides to apply for the
20 logo, but now we expanded it to include TOX-2 products.
21 They need to be concentrates to where when you test the
22 use solutions for the route of exposure that's triggering
23 the TOX-2 category, the use-solution data will
24 demonstrate that the product is actually in category
25 three or four. Are there any questions regarding DFE?

1 Well, I'll move on to the second piece, and
2 that's the factual statements, presently there are four.
3 Sorry. Presently there are four factual statements that
4 are available for anti-microbial pesticides, the first is
5 dye or fragrance-free, we currently have 35 products that
6 have the claim on their label; the other factual
7 statement is the corporate commitment, it appears on the
8 label in the form of a website, there are currently 10
9 products that have the website; and then the last factual
10 statement is biodegradable, you can either state that
11 you're 100-percent biodegradable or that your -- that
12 your product contains a biodegradable surfactant, and we
13 only have three products that are claiming to be --
14 containing a biodegradable surfactant and it coincides
15 with design for the environment products.

16 So the three products that support the claim are
17 -- also supports the DFE logo, and we have not had a
18 product come through that can claim 100-percent
19 biodegradable. But we've had submissions, and they just
20 have not passed because they have not submitted the
21 appropriate data to support the claims. And I'm going to
22 turn it over to Michael.

23 MR. HARDY: I'll be very brief, in essence of
24 time. The last time we met, this -- this group discussed
25 the feasibility of expanding the anti-microbial DFE pilot

1 to perhaps the biopesticides' sector. Since that time
2 we've gone back and had a number of meetings internally,
3 and at this point we -- we would have liked to have been
4 further along in this particular phase of expansion of
5 the pilot, but we've had some internal confusion actually
6 that -- that was geared toward communications more than
7 anything else.

8 So what we've done is we -- we sat down with the
9 biopesticide industry and we said, "Let's try to go
10 forward and -- and follow the same process we did with
11 the anti-microbials when we initially did their pilot a
12 few years ago when we launched the biopesticides' pilot."
13 A few steps were actually overlooked, and so we had to
14 actually pause our effort in order to pull back and make
15 sure we were following the -- the same model we did
16 initially.

17 So where we are today, we are actually looking
18 to -- to have two chemicals, two active ingredients
19 referred to the DFE program so that they can analyze
20 these biopesticides and see if they actually meet the
21 criteria of the existing DFE pilot that the anti-
22 microbials have. The one criteria that is -- is in
23 question, that -- that we've seen over the past few
24 months, is whether or not PPE, or personal protective
25 equipment, should be a requirement for something that's

1 used or -- or criterion for the pilot if it's being used
2 outdoors. And so we're going to pick two active
3 ingredients that have actual outdoor use, that have the
4 -- the respirator-requirement or the PPE requirements
5 with the -- the gloves, and we'll see if it actually
6 still has enough rigor in order to pass the -- the DFE
7 toxics general-chemical screen.

8 If, in fact, these chemicals, regardless of the
9 fact that they have PPE, do, in fact, pass the -- the DFE
10 screen, then the OPP scientists will sit down internally
11 and decide whether or not the indoor residential uses
12 that we saw initially for the anti-microbial pilot
13 should, in fact, apply 100 percent to -- to the outdoor
14 products we're now saying for the -- the biopesticides,
15 or whether or not the -- the PPE requirement can be --
16 can be modified for those outdoor uses.

17 Yesterday I committed to the subgroup that we
18 would try to have the two active ingredients put through
19 the paces by the end of the summer and then report back
20 out in terms of what the -- the synopsis was, whether or
21 not they, in fact, passed the DFE screen and whether or
22 not the OPP scientists agree or disagree that the PPE
23 requirements should, in fact, be retained for the
24 biopesticides' pilot going forward.

25 MS. MONELL: Thank you, Michael. Before I turn

1 this over to Steve and the biobased claims, I just wanted
2 to give you a brief update on the DFE program. This has
3 been around for a long time in the -- in the toxics'
4 program, and it's an effort to encourage, they can say,
5 safer chemicals in end products. And they -- they've
6 been looking at the -- at the logo -- the DFE logo,
7 design for the environment, and their -- their feedback
8 from consumers has been, "This does not convey protection
9 of human health that this program also is geared
10 towards," so there is a large effort underway right now
11 to convey that message through a different logo.
12 Although it will still be US EPA's program, it will still
13 convey the -- the -- the idea of protecting the
14 environment and human health.

15 And so the end of this month there's going to be
16 an ICR published on the federal register, and -- for
17 comment, and I encourage you all to sort of watch for
18 that and to provide comments, because what we're asking
19 the -- the DFE program to do is to perhaps include a
20 pesticides' sector to its program so that we can avail
21 ourselves of this opportunity to -- to promote less-risky
22 chemicals for the pesticide world.

23 So having said that, I'll turn it over to Steve
24 now and he'll give you a little background on the -- the
25 biobased efforts.

1 MR. SMITH: Excuse me. So, yes, real quickly,
2 the biobased for the USDA biopreferred program was
3 established as a statute in the 2002 Farm Bill, it's a
4 procurement program. In 2008 it was expanded to have a
5 -- a voluntary program for certification on product
6 labels, this was implemented in 2011, and then shortly
7 after the agency started getting label amendments asking
8 to have this mark put on our pesticide labels. This was
9 taken to the work group on comparative safety statements,
10 I think it's our sister agency. We're interested in
11 doing this, but we wanted to do so in a way that would
12 not result in a -- being misleading to consumers.

13 Where we left off the last time we presented to
14 you, the agency is interested in moving forward with this
15 as a pilot and we needed -- we had not come up with some
16 language that there was agreement from the work group on
17 -- on -- on it being brief enough that consumers would
18 read it, and at the same time would communicate what we
19 wanted -- we wanted to communicate in terms of indicating
20 to consumers that the mark did not indicate safety of --
21 of the product.

22 And so with that being said, we did come up with
23 some language proposed by USDA that -- so the -- this
24 would come in as a -- as an amendment to the label. The
25 certification mark would, under it, have a statement

1 saying, this mark is not an indication of safety, read
2 and follow all label instructions, this is a
3 recommendation of the agency of a statement that would be
4 found acceptable. If registrants wished to propose an
5 alternate disclaimer statement, they could do so and the
6 agency would evaluate that to determine whether they felt
7 it was acceptable.

8 So with that being said, we have a -- our how-to
9 webpage for actual statements updated. We would expand
10 the factual statements' pilot to include the addition of
11 the USDA biobased certification mark on pesticide labels,
12 we're -- this is our recommendation. With the blessing
13 of the PPDC, we would proceed with putting that --
14 posting that to the web and starting that pilot shortly.

15 MS. MONELL: Again, this is an -- this is an
16 effort to really thread a needle. This is recognition of
17 a USDA program that is supported heavily by this
18 administration in terms of sustainability efforts, and so
19 there was this biopreferred procurement aspect to the
20 government's efforts, as well as a -- a program by which
21 products could be recognized for their biodegradability.

22 And -- and, of course, this effort would apply
23 to all products, mostly consumer-oriented, and so we
24 tried to recognize that there's interest, you know, in
25 consumers in whether or not the product has any

1 sustainability piece to it, and as well as recognizing
2 our responsibility to -- to have a disclosure that this
3 is -- this is not -- this -- this particular mark does
4 not indicate that -- necessarily that it's -- it's --
5 it's safe, and that you must read the label, because that
6 is the -- the law, if you will, that basically says that
7 -- that this has been through appropriate risk
8 assessments and -- and regulatory process under FIFRA.

9 So this is a pilot and we're going to -- the --
10 the good news is that USDA has an ICR by which they're
11 able to -- well, a quasi-ICR. They have a method, a
12 legal method for obtaining consumer feedback as to how
13 the -- how the consumers really understand this mark
14 being used on a -- on a -- on a logo, so we'll see.
15 There's more -- more to come on it, but we thought it was
16 a -- a fair position to take and -- and pathway forward
17 to recognize, again, the three interests at play here.

18 Quickly, a followup to the conversation that you
19 heard earlier about 21st century toxicology. Kristie
20 Sullivan, I think she had to leave, but she -- she has
21 been a part of our work group and one of the things she
22 was interested in pursuing was the possibility of having
23 a non-animal-tested claim put on a pesticide label, and
24 we thought that there was a lot of merit in that. But it
25 was, again, a very difficult thing to -- to get your arms

1 around, because there are many products -- many, many,
2 many products would come in as a me too. And so they
3 could come in and claim, well, we didn't test this
4 product, we didn't use any animals, you know, but, of
5 course, the history was such that the originally-
6 registered product did have animal testing.

7 So we tried to -- we're -- we're still
8 struggling to -- to work out something that would, A,
9 provide the consumers with information on -- on -- as to
10 whether animals were -- were used for testing for the --
11 for the product, and -- and, B, you know, enable and
12 encourage registrants, the industry to produce products
13 that have not or -- or minimally use animal testing.

14 And so we've -- at -- at this point we sort of
15 have two levels, if you will, that we're -- we're looking
16 into. And one is the aspirational level, I think Kristie
17 called it, which is no animal testing period,
18 straightforward, no history of it, no -- just not done,
19 all -- all kinds of other alternatives were -- were
20 utilized in the -- the production of -- of the pesticide.

21 And then there's the pragmatic, which would be
22 -- could be minimal animal testing use or -- and -- and
23 we have to figure out what exactly that would mean, but
24 -- or -- or alternative approaches to traditional animal
25 testing, something that would, again, be factual, but

1 that would recognize a reduced amount of animal testing.
2 So more to come on that, but we think that it's a nice
3 compliment, if you will, to the efforts of -- of the 21st
4 century tox work group.

5 And then lastly we have a -- a new factual
6 statement that was proposed by a -- by industry, and this
7 would be to allow the use of the -- the statement, safe
8 for use on a surface, on a particular surface, and
9 apparently at one time in the pesticide program this was
10 allowed. And then maybe eight to 10 years ago it was
11 disallowed, because the feeling of the program was that,
12 A, it was misleading, that -- that the -- a consumer
13 could misconstrue what the meant, specifically the use of
14 the word, "Safe," that -- that terminology is very much
15 regulated under -- under our 156.

16 UNIDENTIFIED MALE: 15610.

17 MS. MONELL: Pardon?

18 UNIDENTIFIED MALE: 15610.

19 MS. MONELL: 15610, thank you very much. And --
20 but, anyway, the subject-two conversation. In any event,
21 what we have suggested to the folks that are interested
22 in pursuing this is that because they feel, they believe
23 in their own industry research that consumers are
24 interested to know what that -- whether or not the --
25 something containing a pesticide would injure the surface

1 to which they intend to apply it, so they -- that's their
2 research, that's their -- their feeling based on their
3 consumer research.

4 We, on the other hand, still have some concerns
5 about the use of the word safe on a label, so we are --
6 we've asked them -- or -- or not asked them, but we have
7 suggested that perhaps they want to continue to do this
8 survey, making sure that they -- that it's broad, and
9 geographically inclusive, and so forth, as all good
10 consumer research surveys are, and then let us -- share
11 with us the -- sort of the -- the survey and -- and the
12 -- the results, and then we will continue the
13 conversation, so that's what we're considering. We don't
14 even have a recommendation one way or the other right
15 now, just the state of play is that the -- the interested
16 industry folks are going to go do their market research
17 and come back with more details.

18 So as you can see, our little work group has
19 evolved and we're taking on various new areas to -- to
20 become involved with and to come back here and make some
21 recommendations to pursue, but I think it's -- I think
22 it's important, because I think that the consumer
23 interest in these areas really is still very much alive
24 and well. And our role in making sure that we don't run
25 afoul of a FIFRA is equally important, so stay tuned.

1 MR. BRADBURY: Any -- yeah, Matt and then Eric.

2 MR. KEIFER: Marty, I'm just -- when you bring
3 up this issue about whether it's safe on a surface, and
4 whether EPA has to get involved in the decision making,
5 or the adjudication as to whether that can be put on the
6 label, that makes me -- it maybe brings home the point
7 that it seems that the EPA is responsible for anything on
8 the outside of the container?

9 MS. MONELL: On the label.

10 MR. KEIFER: On the label?

11 MS. MONELL: Yes.

12 MR. KEIFER: Wow. I'm sorry, I didn't realize
13 that your -- our responsibility at the EPA was that
14 profound, that's remarkable.

15 MR. BRADBURY: You wouldn't believe the hours
16 spent each day.

17 MR. KEIFER: Is ariel font acceptable?

18 MR. BRADBURY: What?

19 MS. MONELL: That's a whole other can of worms.

20 MR. BRADBURY: Oh. Eric, right, and then Susan
21 -- no. Yeah, I said Brian. I can't -- sorry.

22 MR. GJEVRE: With the two different labeling
23 issues that you described, what safeguards are in place
24 there, what controls are in place to prevent 25(b)
25 products from just arbitrarily using those on the label?

1 MS. MONELL: Industry pretty well self-police.
2 Honestly, we have -- most of the sort of regulatory fixes
3 that we require and enforcement actions that are taken
4 are as a result of tips from competitors.

5 MR. GJEVRE: So -- so if a 25(b) product was to
6 use the -- the -- the environmental statement, for
7 example, or the environmental logo on a label, if they
8 just put it on their label and sold it over the internet,
9 the EPA would be able to take action to --

10 MS. MONELL: That would --

11 MR. GJEVRE: -- make that --

12 MS. MONELL: -- yes, that would be misbranding.

13 MR. GJEVRE: Okay.

14 MR. BRADBURY: Susan and then Beth.

15 MS. FERENC: I -- I just had a quick comment. I
16 want to thank Michael and -- and Marty for -- for moving
17 the biopesticide pilot forward. There were some pitches
18 and starts as it -- as it was getting going, and -- and I
19 think this is really good bring it back to where we had
20 started with the anti-microbials. But -- but I think
21 that I really want to encourage a lot of interaction with
22 the DFE folks on this, because, Michael, hearing you say,
23 well, to see whether or not biopesticides fit the anti-
24 microbial criteria, you know, maybe the broader question
25 is, what criteria should they be meeting, as opposed to,

1 do they fit ones that have already been created for a
2 completely different class of compounds.

3 And this gets back to the idea that we talked
4 about, do we need to have a separate classification for
5 pesticide, or ag chem, or something under DFE, like their
6 industrial institutional, recognizing that this is a
7 different set of compounds, and under a different set of
8 authorities as well, and safety measures already in
9 place, and that type of thing.

10 So we -- I think as a -- as a working group, we
11 just encourage that continual interaction with DFE on how
12 to really, more broadly move forward with the idea of --
13 of pesticides being in the DFE program and everybody
14 being comfortable with that.

15 MR. BRADBURY: Beth, and then Janet, and then
16 that's it.

17 MS. LAW: Well, actually, Sue stole my -- my
18 opening comment, because I also was going to commend
19 Marty, and -- and Michael, and Steve for the work that
20 they've done on several initiatives in that, the
21 comparative safety-study work group. It -- and -- and I
22 would just say that the discussion is always good in that
23 group, it's -- it's -- it's robust and I think everyone
24 has an opportunity to voice their opinion. Not -- we
25 don't always get what we'd -- what we'd like or the

1 answer we'd like, but at least we know we -- we are heard
2 and, you know, the USDA, we appreciate that.

3 And I do think that the developments that are
4 under discussion now will be very welcome by industry,
5 so, as always, we'll look forward to continuing the
6 discussion. And I think that's it, thanks.

7 MS. HURLEY: Thank you for -- for classifying
8 everything for me, but I do have a couple of comments.
9 One, I don't ever want to see safe on a label, I'm a
10 person who has to deal with the public and do training, I
11 think that's misleading. I would rather you say that it
12 harms these specific surfaces, rather than it's safe for.

13 And I'm still a little iffy about the industry
14 self-policing on the 25(b), there's just too much out
15 there. It's -- it's very controversial and it's very
16 hard, especially in the world that I live in with school
17 IPM, because on the 25(b) stuff a salesperson can go up
18 to somebody and say, oh, it's safe to use, oh, you don't
19 need to be licensed, oh, you can do this. There's --
20 there's several different things on that, so please be a
21 mind that there are people out there who do not read the
22 label and that, you know, any complements of safe
23 sometimes gets in the wrong world.

24 And I'm really worried about what goes on,
25 especially on 25(b), when we're talking about kids,

1 because, again, there's -- there's allergen triggers that
2 we're just now starting to hear about, so I just wanted
3 you guys to know that I'm speaking from -- from
4 experience.

5 MS. HURLEY: I hesitate to say this, because
6 it's a bit of cold water -- dumping cold water, and that
7 is that having worked on sustainability issues for a
8 while, the public's understanding of any labeling, green
9 labeling in a broad sense is nil to minus nil. And so
10 there's not really a scientific issue or a legal issue,
11 maybe a scientific education issue.

12 But I was at the international food
13 technologists conference two, three years ago where you
14 have all these market people doing investigations, and
15 they had a panel -- I mean, that was in Chicago then and
16 they had a panel of people from the public that they had
17 there, and the -- the -- you know, whether it was an
18 organic label, a rain-forest label, a -- I forget the
19 proper term for, you know, fair-trade label, they had no
20 clue. I mean, no clue what the difference of any of them
21 were.

22 So I have to admit I've gotten -- unless you can
23 do a lot of marketing, a lot of marketing, I'm not sure
24 really how much these labels are going to make a
25 difference. And again, it's not to say we shouldn't be

1 doing it, but I just want people to understand that I am
2 not seeing that really being a driver in the marketplace
3 until we can get some level of education out there.

4 MR. BRADBURY: Okay. Thanks, I appreciate
5 everyone hanging in there during the course of the
6 morning, through our break. But there's lot of questions
7 and a lot of dialogue going on, so it's greatly
8 appreciated. I'm going to shave your lunch a little bit,
9 we're still going to start at 1:15. So we went a little
10 past noon, but it should be enough time to get something
11 to eat, and we'll see you back at 1:15. Thanks.

12 (Whereupon, an afternoon recess
13 was taken.)
14
15
16
17
18
19
20
21
22
23
24
25

1 DAY TWO - JULY 11, 2013

2 (AFTERNOON SESSION -- 1:15 P.M.)

3 MR. BRADBURY: All right. Good afternoon, we'll
4 start the afternoon session. And we're kicking off our
5 first session on pollinator protection and we'll go to
6 about 2:30. And I know that the work group is big, at
7 our opening comments the other day we talked about how
8 the pollinator protection work group's bigger than the
9 PPDC, which is good, it's kind of fun to manage.

10 And we've got breakout groups that are tackling
11 different components, and these components intertwine,
12 they -- they feed off each other, which is good, but I
13 want to start it off by -- by thanking everybody on the
14 work group. To have this many people working this hard
15 is really helpful to not only EPA, but USDA as well. As
16 -- as we go through this presentation, I'll -- you'll see
17 how this is really critical for a lot of work going on.

18 Also in talking to Rick, and Lois, and Sheryl
19 know that there are some specific recommendations that
20 are going to be coming out of the work of the pollinator
21 protection work group, so for the full committee, as we
22 go through their presentations and -- and -- and hear
23 about those recommendations, I'll then be systematically
24 going through those recommendations and getting some
25 feedback from the full committee.

1 So, again as we talked about it yesterday, for
2 folks joining us, the work groups come up with ideas,
3 they present it to the full committee, spend some time in
4 a full committee hearing pros and cons, we may or may not
5 reach consensus. But once I figure I -- we have, or if
6 we haven't, but I feel like I've gotten a good indication
7 of the pros and cons for different approaches, then we'll
8 move on to the next one so that we stay timely, get the
9 information, so the agency can then move forward with --
10 with those recommendations and make some decisions.

11 So with that, it's sort of a little context to
12 how we'll manage the next hour or so, I'll turn it over
13 to Rick Keigwin to lead off the session.

14 MR. KEIGWIN: Thanks, Steve. Yeah, just to
15 highlight what Steve was saying about the size of the
16 work group, I think we're upwards of 70 or 75 people. So
17 at that point, if even more of you want to join, that's
18 great. Oh, why not, double -- double the size of the
19 PPDC. But we've had -- we've met multiple times over the
20 -- since the last PPDC meeting, lots of conference calls,
21 and I just wanted to express my appreciation for
22 everyone's efforts and contribution. It's -- some of
23 these conference calls go on for two or three hours at a
24 time and they're always quite lively, but I feel like we
25 make progress every time.

1 Just to give you all a little bit of structure
2 for how we're going to manage the next hour, we're going
3 to kick off by having Sheryl Kunickis give us an update
4 and overview of USDA's role in pollinator protection as
5 the -- the lead agency for managing the federal response
6 on pollinator health issues. We think that's really
7 important, because then it puts the work that this
8 group's been doing in a -- in a perspective.

9 And then from that what we'll do is work through
10 the recommendations from three of the subgroups that were
11 established at the last PPDC meeting. And for those of
12 you that have the slides, you'll see that we've repeated
13 the charge from the last PPDC meeting and then what our
14 response and recommendations are since then. I think for
15 purposes of sort of managing the clock a little bit, what
16 we'll do is we'll go through all three subgroups'
17 recommendations, and then we'll circle back, once that's
18 all done, to -- to take questions and -- and to get
19 advice on next steps. So with that, let me ask Sheryl to
20 kick us off.

21 MS. KUNICKIS: Thank you very much. I'm really
22 pleased to be here today and talk about the importance of
23 honey-bee health to -- to USDA, it's critically
24 important. As you know, honey bees are part of our
25 agricultural system, we can't have agriculture without

1 honey bees. It is a very complicated, very complex
2 problem, and it takes everyone to help solve that.

3 As many of you know, back in October we
4 sponsored a conference, it was funded by NIFA, the
5 National Institute of Food and Agriculture, and we
6 convened stakeholder groups from all different parts of
7 the -- of interest groups to participate, to look at the
8 state of the science on honey-bee health, as well as look
9 at -- hear from different stakeholders, what their
10 concerns are or what their observations were.

11 That conference was held in October, and I know
12 we've talked about that before, and what we learned is
13 there was a number of stressors that USDA needs to be
14 paying attention to, such as nutrition, and that relates
15 to the habitat that is declining across the country as we
16 go into some of the monocultures, pathogens and
17 arthropods -- arthropods, pesticides, genetics, and the
18 management of bees, so there's a lot of different
19 components involved in dealing with honey-bee health.

20 So we put together, as a followup to that
21 conference, a report that -- it was a -- the point of the
22 report was to capture all that we heard, the state of the
23 science and the observations by -- observations by the --
24 the participants. On May 2nd we issued that report,
25 there was a press event with the national media and with

1 the -- with the stakeholder groups. And we were so
2 pleased that Deputy Secretary Merrigan and Acting
3 Administrator Bob Perchuceppi (phonetic) were the ones
4 who wanted to do that, they were the ones that suggested
5 that. Unfortunately, the deputy secretary had a family
6 emergency, and Dr. Sonny Ramaswamy stepped in to
7 participate on behalf of USDA, so that went out.

8 And I will tell you that a lot of folks would
9 think that that's where it ends, so we've done our thing,
10 it was fun, and it's over. Well, it's not, USDA is
11 committed to continuing to address the issue of honey-bee
12 health. And all the different components that I talked
13 about are things that USDA is working right now, some of
14 -- well, with partners, some with EPA as partners, other
15 agencies, and we're moving forward.

16 What we've done is we formed internally a USDA
17 EPA work group, and we've identified all the efforts that
18 have happened historically, what we're doing currently,
19 and what we still need to do. We're committed, as we --
20 we committed to the deputy secretary and to Mr.
21 Perchuceppi, that we would do a number of things, and --
22 and what I'm going to talk about are just the actions of
23 USDA.

24 In the REE, which deals with research,
25 education, and economics, there's a great interest in --

1 in that missionary of USDA, because they have a number of
2 responsibilities. And what Dr. Ambar Testa (phonetic,)
3 our deputy undersecretary, would say, ultimately all of
4 this is a recovery plan for honey bees, and -- and so
5 here are some of the things that have -- have just --
6 that are being implemented or things that are ongoing.

7 At the Agricultural Research Service, of course
8 we have the -- they are the internal research arm of
9 USDA, they are actively working on research this week,
10 the -- one of the bee labs down in Tucson held a -- a
11 meeting of the stakeholders to look at the research that
12 they're doing and where they maybe need to refocus some
13 of their efforts based on what we've learned over the
14 last several months and what we know today.

15 Dr. Knipling, who is the administrator of ARS,
16 informed us about three weeks ago that he was -- had
17 provided one-point-three million in additional funds for
18 research, and the ARS researchers and EPA staff have met
19 to make sure that those research dollars are being used
20 to address really some of the important parts that we
21 need to have addressed, we don't want to be spending
22 valuable research -- research resources on things that
23 won't add value to what we need to know.

24 The ERS, our Economic Research Service, on
25 Friday, Dr. Mary Bowman, who's the administrator of ERS,

1 sent me a message and let me know that her staff is doing
2 an economics' report, it's just been started. As a
3 matter of fact, her staff is on this call right now, so
4 they're busy working to develop the focus of the report
5 and how that will go forward. We've made contact with a
6 number of folks to make sure they have the visit with
7 them and get a full, full picture of what is going on.

8 At NIFA, Dr. Sonny Ramaswamy, as you all know,
9 is a -- or may know, is an entomologist, and he's the
10 director of NIFA, and he's in -- he totally gets the
11 importance and value on honey-bee health, and so over the
12 last -- the last few weeks what he's done is -- we're --
13 we're -- at USDA we're very interested in -- in education
14 and extension, and so we -- under his signature he sent
15 out to all the land-grant universities a message asking
16 for their assistance to extend, beyond the agricultural,
17 information about the value of -- or the importance of
18 reading the pesticide label, and that it's not just about
19 agricultural, but it's for homeowners, and urban uses,
20 and so forth, so we're working with our land-grant
21 universities to -- to do education and outreach.

22 We're working right now to develop an evidence-
23 based approach to address some of the important questions
24 related to honey-bee health. I can't talk a lot about
25 that, because it's in process and it's still being

1 developed. You have to identify the important questions
2 that you need answered, this approach is used a lot in
3 the health -- in some of the health issues that they're
4 dealing with at USDA to address some of the -- the
5 nutrition or habitat issues in NRCS, the National
6 Resources Conservation Service, as well as the Farm
7 Services Agency to their programs -- conservation
8 programs.

9 They have the habitat and they can help develop
10 and improve habitats, so one of the items that came out
11 of the conference and that we hear a lot is that the
12 lands that are in CRP, conservation reserve program, are
13 not eligible to have honey bees or managed bees placed on
14 them. That's absolutely not true, but it's a -- just a
15 communications' challenge within the agency, so the
16 agencies are working to clarify the use of the bees --
17 bees being placed on CRP land. It's certainly okay, as
18 long as it meets a certain criteria.

19 And then NRCS also has its plant material
20 centers, those are all over the different parts of the
21 country to help us identify the best plant materials or
22 available materials for -- or planting for bees, to
23 improve nutrition. And then during our meeting with the
24 deputy secretary and Mr. Perchuceppi, Dr. Merrigan
25 committed that USDA off-field employees would go through

1 training with USDA on honey-bee health, and so to bring
2 awareness to all field folks so that they could help and,
3 as they're out in the field, identify opportunities for
4 improving -- opportunities for improving honey-bee
5 health.

6 And then I have reached out to my federal
7 partners in other agencies, because certainly it's not
8 just USDA, and you realize a lot of the lands, within
9 USDA's purview at least, at NRCS and FSA are private
10 lands, there are public lands. And so I reached out to
11 my federal partners to see if you could place managed
12 bees on their public lands, and I received three e-mails
13 back and each has -- they have different authority. And
14 my colleagues at BLM responded, "Absolutely, and it's
15 already in place, it can be done, and there's things you
16 have to do, but it's a -- it's certainly a possibility."

17 My colleagues at the DOD responded also, it can
18 be done. But, of course, you can imagine those have a
19 little more restrictions in place, because those are
20 defense lands or -- so, but it is a possibility. Others
21 cannot, because managed bees are considered not domestic,
22 so -- and so they can't have that.

23 Finally at USDA there's the CCD action. We've
24 got the CCD action plan that USDA and EPA jointly have
25 responsibility for, but USDA has the lead, so work on

1 updating the CCD action plan began shortly after the end
2 of the conference, they're on a fast track, they've been
3 meeting regularly. They meet next Monday, and I believe
4 the goal is to have a draft by September. So those are
5 just some of the things that are going on, there's oodles
6 more. But there are works in plan and there will be
7 more, you'll hear more about that later.

8 I just want to say the -- the -- the work group
9 that is here and that we'll hear from today is extremely
10 important. A lot of the work and recommendations that
11 are coming out of that will help to be a big part of this
12 -- ultimately, hopefully in this recovery of our honey-
13 bee health, so thank you.

14 MR. KEIGWIN: Okay. Thanks, Sheryl. So now
15 we're going to start working through each of the three
16 subgroups. I will start with labeling, that group is
17 chaired by Dave Epstein from USDA and Marylou Verder-
18 Carlos from California Department of Pesticide
19 Regulations. Dave is here today, Brian is sitting in for
20 Marylou, I think you mentioned that yesterday afternoon,
21 so they're going to kick things off.

22 And then I will say, this has -- of the three
23 groups, as you might imagine, this has been one of the
24 more challenging set of issues that the work group has
25 been working on, and so we thought it would be helpful

1 not only to present what's on the slides that you have
2 here, but to also hear some of the diverse opinions that
3 led to what's ultimately on the slides. And so for that
4 part, I -- I believe Brian, and Steve Coy, and Cindy
5 Baker-Smith from AMVAC are going to contribute at that
6 point, but let me turn things over to Dave and Brian.

7 MR. EPSTEIN: Thank you, Rick. Just before I
8 make any -- talk about the labeling group, I just wanted
9 to add one thing of what Sheryl just said, and that's
10 particularly in relation to the one-point-three million
11 dollars that ARS just made available for research. And a
12 lot of that, the focus is, you know, traditionally
13 research, you know, plans that go, like, five years out.
14 Right now we're trying to put money in places where we're
15 going to get quick answers to crisis-type problems, and a
16 lot of this money is going to be used to look at
17 pesticide effects on bee health, so that's -- that's that
18 one-point-three million that Sheryl mentioned.

19 The labeling subgroup of the pollinator work
20 group, we met four times since the last PPDC by phone, we
21 do it by teleconference. And as Rick and Steve
22 mentioned, I think we have about 180 people on the phone.
23 And you can tell, because I made the bold statement the
24 last time we were here to Steve, because our challenge
25 was to define and clarify terms that could go on the

1 label, and I said, "Piece of cake," and boy was I wrong.
2 It's -- it's very contentious, we're still arguing about
3 many of the same things that we've been arguing about
4 since 2000, use of foraging versus visiting.

5 I got waylaid and I just got here at noon today,
6 because I was in the airport all night in Dallas. And
7 Brian had stepped in and prepared all the voluminous
8 notes, and so I didn't want to disappoint him, so Brian
9 is going to give the report on the labeling.

10 MR. ROWE: Thank you, Dave. And -- and I --
11 I'll add to that comment that I had to step away from
12 this group over the last three or four conference calls,
13 because I've been involved with EPA region five's
14 development of the bee investigation or bee inspection
15 guidance document, so that pretty much consumed my life
16 from November to May. But I'm -- I'm with you, I'm like
17 I went into the way-way-back machine and -- and we're
18 back in 2000, 1999, and -- and a lot of those
19 discussions.

20 Okay. So the charge to the -- and -- and so
21 what I've done to help Dave out is I -- I figured -- I
22 didn't even know if he was going to be able to make it
23 here, was to -- to put together the notes from the four
24 work group meetings, so, please, any of the other
25 committee members that have any additional comments or if

1 I get something wrong, I take no offense to being
2 corrected on the spot. I want to make sure you're
3 providing current, accurate information, but, you know,
4 the original charge to the group was to address
5 problematic pollinator protection label terms and that
6 really exist -- is on existing labels.

7 So these labels are, some of them, 40-years old.
8 They're built on a acute-toxicity data, so you've got
9 high, medium, and low risk built into that. The -- it's
10 -- it's no less contentious as it was 13 years ago, and I
11 think it is initially charged. The discussion was, can
12 we come up with one to three terms to be developed that
13 can be used as label enforcement language, and that was
14 really the same goal back in 2000. And I think through
15 the discussions that I've taken part in and -- and the
16 notes I've read, I think there may be some alternative
17 ways to go about it, rather than just defining one
18 specific term, but we'll come back to that.

19 The one consistent message that the group came
20 forward with is you've got, like, two different things on
21 a label, it says, "Foraging, actively foraging," and then
22 there are labels out there that say when bees are
23 visiting the site, which is -- I don't know if that's
24 just a fly-by, or a resting spot, or what, but the -- you
25 know, as a state regulatory agency I can tell you that if

1 I have to hinge an enforcement action on whether bees are
2 foraging, or actively foraging, or even visiting the site
3 at the time of application, I'm out of the game, because
4 I'm not there when the application's made, so I can't
5 collect that piece of evidence or proof.

6 But bottom line is let's get rid of visiting,
7 let's get rid of actively, and let's focus on foraging,
8 because that is essentially the -- described as the word
9 best what bees are doing, they're actively collecting
10 nectar, they're actively collecting pollen from that
11 area, they're actively foraging at the site. And -- and
12 for -- as an -- as an aside for food source, it was in
13 the treatment area.

14 All right. So foraging -- foraging versus
15 actively foraging has -- its origins date back to when --
16 when we're trying to build in data that's emerging out,
17 it's called, residual toxicity 25, or RT-25. It's like
18 an LD-50, but it's a residual, on-plant material that
19 will basically kill 25 percent of the -- of the test
20 population, it's -- it's -- again, the definition is that
21 it's -- there's a toxic effect on 25 percent of the test
22 population of bees.

23 The -- the EPA white paper on pesticide risk
24 assessment on bees defined the extended residual toxicity
25 as an RT-25 of greater than eight hours, so essentially

1 at that point there's -- there's a more-significant
2 threshold that -- with the residual and -- and -- and at
3 the same time the message is really unclear. I mean,
4 when you're using actively versus -- foraging versus
5 actively foraging, an applicator doesn't know that
6 there's a difference. What -- what was intended to be
7 implied by the difference, actively foraging essentially
8 means there's less residual toxicity as foraging, which
9 is an extended or a greater risk based on extended
10 residual toxicity.

11 Using actively indicates there's no extended
12 residual toxicity, but, again, that's not a term that's
13 been built into pesticide-applicator training or
14 communications, it's -- it's -- it's used when data
15 indicates that the product does not have an ERT to bees.
16 So, again, actively foraging is essentially a -- a less-
17 toxic situation and the term foraging is used when data
18 indicates that the product has an extended residual
19 toxicity, so that's clear as mud.

20 It was -- actually, the light bulb finally went
21 on for me yesterday during our -- during our work group
22 meeting. The work group did not reach consensus on which
23 term to use if there is no residual toxicity. Basically,
24 if there's no residual toxicity, should there be a term
25 used? Again, we go back to if there is a term that's

1 going to be used, foraging should be the term that we're
2 working with. But to reiterate, states can't use that as
3 the regulatory threshold.

4 So what we were discussing a little bit
5 yesterday was alternate use of terms, and it's been
6 discussed in the work group, I think, repeatedly over the
7 last four conference calls, discussing more enforceable
8 terminology. And what is that? It's not going to be
9 just one word, bloom, it's not going to be just one word,
10 time of day. It's -- it's going to be really product
11 specific, and it's going to be based on the residual
12 toxicity and the acute toxicity. As it goes through risk
13 assessment, it -- it's going to need to consider all of
14 the different tools that EPA has available and in
15 regulating and mitigating risk on pesticide labels.

16 So RT-25 data is based on an existing EPA
17 guideline, basically it typically requires -- it's
18 required when acute toxicity of the active ingredient is
19 less than 11 micrograms per -- per bee, so you're looking
20 at what's that residual toxicity out there at those --
21 the lower levels. It is not available for all products,
22 correct me if I'm wrong, but in the notes it said that
23 there were 54 products out and then you've got to
24 consider other -- other factors related to that.

25 It's formulating specific, if you've got four

1 formulations for the same active ingredient you might
2 have four RT-25s. But you might have a few others too,
3 because maybe it's an arid zone RT-25, or a non-arid zone
4 RT-25, so there's some geography involved in those
5 developments as well. So registrants may choose to do
6 more than one RT-25 development, if they wanted to, to
7 support different uses in different -- in different
8 areas.

9 RT-25 is not in and of itself enforceable. Just
10 because it's an RT-25 of two hours or an RT-25 of eight
11 hours makes no different from a regulatory standpoint,
12 it's -- it's a risk assessment tool, and then from that
13 you may be able to develop some additional language
14 around the labeling if there's a need to do something
15 enforcement based.

16 The discussion was pretty much how do we get
17 things out there to applicators? From a -- I'll put my
18 regulator hat on, I'm not extremely excited about a label
19 referring people to a website, I think that's --
20 applicators are less prone to adopting those practices.
21 But if we're talking about how do we deal with lots of
22 labels that are already out in the marketplace and you
23 can't conceivably call in all those labels and make all
24 those changes, I think you combine an RT-25 on a website
25 for active ingredients, you marry that up with an

1 educational platform, it exists, it's out there.

2 Pesticide safety education providers have been
3 teaching applicators for years to give them a good, clear
4 message, what is an RT-25. It's more than just a number,
5 it's something that applicators should be able to use and
6 learn to use as another tool, just like wind direction
7 and wind speed, right? An RT-25 of -- of eight hours is
8 a product that's got a little more toxicity to bees than
9 an RT-25 of two hours. And if they're interchangeable in
10 my -- in my game plan and my production systems, maybe I
11 choose the RT-25 with two hours and I -- and I
12 essentially, hopefully reduce the risk to bees out there
13 in the environment.

14 So this is where the discussion threads in the
15 work group went back to the best-management practices'
16 work group, the communications' work group. I know
17 there's been a lot of work out there on where to house
18 information on best-management practices, USDA is, I
19 think, supporting in -- in that effort. But bottom line,
20 if you can package it up and wrap it up in a simple to
21 deliberate way and you can make it clear, I think it
22 means a lot more to an applicator than foraging versus
23 actively foraging, I think it really carries the message,
24 sure.

25 MR. BRADBURY: So we had a lot of very lively

1 discussion around the fact that what we're doing here is
2 trying to provide the grower with information and
3 particularly the -- the bee keepers on the call, we had
4 -- Steve Coy was very active. There's a -- there's a --
5 a distinct feeling that we have to raise the issue with
6 growers that they're as aware of whether or not the bees
7 are in the orchard or the -- the crop system. You can
8 tell I used to be a tree/fruit guy. That they're in the
9 cropping system as -- as much as they're aware of what
10 the pest levels are.

11 You know, we -- we tell growers that they need
12 to treat when, you know, they're at a certain threshold.
13 Up until now we had -- we do not have those biological
14 scouts, the consultants going out and actively scouting
15 for the -- the presence for foraging bees, and what we're
16 saying is all this information is going to feed back into
17 the educational program working with growers to raise
18 these issues and -- and make them more usable.

19 MR. ROWE: And -- and I guess I'll -- I'll come
20 back to the thought that, you know, if there is a need
21 for an enforceable label language, if there's a need in
22 that risk assessment that says this product is -- has a
23 residual toxicity or an acute toxicity to bees, then the
24 labeling that used to rely on actively or not being
25 actively needs to have some other constructive language

1 built into that, that says -- or enforceable, I mean, is
2 the word I wanted to use. Enforceable language built
3 into that, that does give us a leg to stand on in the
4 field when we can -- so we can say a bee kill resulted in
5 a misapplication of pesticide, Mr. Grower, you are
6 responsible.

7 And not only that, but it gives the grower good,
8 clear information as they read that label and they're
9 training on those labels to understand what it is that
10 they're supposed to do to protect the pollinators, so
11 we're not trying to bury the thought that there's a
12 toxicity issue and there shouldn't be labeling. Best-
13 manager practices and -- and all the other things we talk
14 about are voluntary, but if there's a need for a
15 regulatory foothold then we need to establish that.

16 Yeah. Okay. And then there was just an example
17 share in the slides as far as honey-bee -- honey-bee
18 active ingredients and how best -- how the RT-25s might
19 be displayed, and then the last slide here was -- I think
20 we've kind of talked about most of this. Going forward,
21 the risk assessment needs to build in an enforcement
22 tool, best-management tool, and a risk-communication
23 tool, the -- and -- and it's not going to be as
24 prescriptive as one term.

25 The work group acknowledges not all labels can

1 be fixed at once, this is going to be a process over
2 time. Visiting equals foraging, so foraging is the -- is
3 the term for use and the best-management practices,
4 including the availability of an RT-25 database, should
5 be part of an effort to clarify the existing labels,
6 reducing risks to pollinators.

7 The other part of it is, when it comes to the
8 point of actually putting together language to include
9 the regulatory component, ABCO supply rig and others,
10 should be involved from an effort of drafting guidance on
11 terms for existing labels as well as possibly terms to be
12 used for enforcement label language later on.

13 MR. KEIGWIN: All right. To ensure that we have
14 enough time for discussion, I think we're going to move
15 on to the BMP and the enforcement piece. But then I
16 think Steve, I know, had wanted to chime in, as did
17 Cindy, and so we'll make sure that we get those comments
18 in on the -- on the labeling piece. So on the BMP piece,
19 Bret (phonetic,) AD, as well as Rick Bireley from
20 California Department of Pesticide Regulations have been
21 chairing this group. And so I think Bret was going to
22 read us through this next slide.

23 MR. BRETON: BMPs, unfortunately they're all
24 voluntary. But I guess that's the good thing too,
25 because they can be implemented fast. You know, we were

1 charged with trying to find the best site available to --
2 where BMPs could be found, and the RT-25 data, and then
3 also point of contact for BMPs. The test site
4 stewardship organization website is what we chose, it's
5 been populated really well, we encourage everybody to
6 look at it.

7 And I would go back to what was just presented,
8 it -- the whole idea is good. But it's incomplete,
9 because growers don't have time to look at the website
10 when they've got problems, they've just got to solve the
11 problem. And so the -- the information is there and I
12 think one of the things -- our -- our last point on this
13 slide is probably the most key point here, you know, the
14 -- and I don't know if it's written correctly, but we
15 need interagency cooperation and extension, a huge need
16 for extension. Extension for the last 20-plus years has
17 always dealt with the problem and not the benefit of
18 insects, and there used to be a huge educational model
19 here to bring home the beneficial insects.

20 I mean, we've always just dealt with the problem
21 insects and I think that is our key point we have. We
22 have good websites, they've been collecting, and I highly
23 encourage everybody to look at it, to use it. But we
24 need extension to get it from the universities and to the
25 farmers so it's first nature, it's not something they

1 thought about in the winter, and when there was a problem
2 they didn't time to remember it. We -- we need guys in
3 the field bringing it to the farmers, that's -- that's
4 the most take-home thing I can tell you right now.

5 MR. KEIGWIN: Thanks, Bret. And then our last
6 area that we've been focusing on was enforcement issues,
7 and this group has been chaired by Gabriele Ludwig, with
8 the Almond Board of California, as well as Darren Cox. I
9 think Gabriele was going to help us with this one.

10 MS. LUDWIG: I'm going to preface this as -- as
11 some background information of why -- where I see some of
12 the enforcement issues playing a role, and that is one of
13 the fundamental disconnects -- disconnects between bee
14 keepers' experiences and EPA's world is that there's a
15 lack of data saying where there's some acute -- possibly
16 acute bee kill is actually due to pesticides or not. So
17 where I see this enforcement issue coming in is how can
18 we develop data to say, is this really -- when is there
19 really a problem or not? And if there is a problem, what
20 was the cause?

21 And -- and so just by way of background, that
22 that's one of the big disconnects between, you know, the
23 experiences of bee keepers and the experiences of EPA,
24 because when EPA goes to look for data. There really is
25 very limited data for them to do any work with, so that

1 -- just put that as part of the background.

2 The work group did not meet in this between the
3 last two PPDC meetings, partly because for bee keepers it
4 has been a rough spring. But in the meanwhile, EPA
5 region nine did come out with a draft guidance on two
6 state lead agencies that do enforcement about what steps
7 they should be taking, and that's -- definitely a lot of
8 work went into that. And -- and from my first read-
9 through of it, I think it covers definitely all the basic
10 needs.

11 Now, you have to remember that a lot of those
12 people hear, bees, and they go, oh, my God, I need to go
13 near a bee? So there's a whole also education issue
14 that's necessary to happen for -- for -- for the
15 inspectors to figure out how to handle bees or -- or deal
16 with those situations.

17 Next step for us are to review that more
18 carefully and provide feedback, because it's essentially
19 in testing now being put out in the field to say, okay,
20 what's working and it -- what needs more refinement or
21 clarification, get that feedback back via EPA to -- to
22 EPA region nine, that's --

23 UNIDENTIFIED MALE: Five.

24 MS. LUDWIG: -- five. I'm sorry, my world. And
25 -- and -- and so that next year they can come out with

1 the refined version of that guidance. I think the other
2 thing that we would like to see happening is the other
3 question that happens next is, okay, there's the
4 guidance, but you still have the issue as to what extent
5 will state lead agencies pick up the ball and actually do
6 followups when there's possible bee kill incidents. And
7 there again, for us to hear what efforts EPA is doing, I
8 know that in regs there's been some things, there's -- I
9 forget the name of the proper money -- for money that
10 goes to states, but anything that you can help us keep
11 informed about how you're encouraging states to be
12 engaged on this is helpful.

13 And then I think we may need to have some
14 further discussion about what other resources there may
15 be available to help with the education. So someone
16 mentioned to me Web NR was someone from Washington State
17 is a possibly, so I think those are some things we also
18 need to explore some more about. Now that we have the
19 guidance, how do we make sure it's getting used by
20 states. Anybody else, any comments on this?

21 MR. KEIGWIN: So in a few short slides, that
22 sort of summarizes where we've been for the past six
23 months. And I think, Steve, we turn it back and see what
24 questions.

25 MR. BRADBURY: All right. So what I'd like to

1 do is go through the three areas, the labeling, the BMPs,
2 and the enforcement. And labeling, there's some specific
3 recommendations that -- that came out, so we want to have
4 a discussion among the -- the full committee, and with
5 the BMP, and -- and recommendations of the next steps on
6 enforcement, so let's start with the labeling group
7 first.

8 And the first thing we'll do is to have Steve
9 and -- and Cindy speak, and then I'll open it up to
10 others. And what -- what I want to -- if you have a
11 clarifying question, that's -- that's fine. But to the
12 extent you have a -- a thought, say, on the labeling one,
13 foraging, actively foraging, what -- what the
14 recommendations were from -- from the group, I'd like to
15 get a sense of what you all -- what you're thinking.

16 Now, if you hear a colleague on the panel say
17 the exact same thing you would say, you don't have to say
18 it again. I'm not -- I'm not weighting things, I'm
19 listening to insight and that -- it doesn't -- I'm not,
20 like, going, oh, five said that and two said that, it's
21 -- because I want to sort of balance all the different
22 things we need to talk about with getting input. I
23 haven't said that you can do whatever you want, but
24 eventually I will have to watch the clock and do stuff,
25 so at your discretion. So with that, let's start with

1 Steve and Cindy though, because I know you have some
2 additional insights on labeling, or Cindy and Steve,
3 however you guys want to do it.

4 MS. BAKER-SMITH: I tried to be nice and let you
5 go, huh, and you're going to push me first, that's fine.
6 So, Steve, just to your point, the -- the registrants
7 that are represented on the work group got together and
8 talked about these things so that we could come with the
9 unified recommendations, so we would support the words,
10 foraging.

11 The -- the -- we also understand through the
12 context of the conversation in the work group meeting the
13 other morning that actively foraging and foraging
14 creates, we think, some unnecessary confusion if it is
15 code for what is an RT-25. I mean, the -- the whole
16 objectives that we understand it is to have a -- a
17 description of when the bee is in the area and you're
18 going to spray, so we think foraging is an appropriate
19 word to put on the labels.

20 With respect to the RT-25 value, we recognize
21 that's a -- a lower-tier hazard value. In -- in and of
22 itself may not have significant meaning to put on a
23 label, so three of us, myself with AMVAC, Dow
24 Agrosiences, and Bayer Cropscience volunteered a couple
25 of RAIs to share with the work group what those RT-25

1 values were, so we could get a sense for all the nuances
2 that -- that they may or may not be of value to you so we
3 could support a pilot where you would put those on a
4 website with some context.

5 So, for example, from the time that that RT-25
6 value was generated through data, the label may have
7 changed substantially. So the use rate may be less, so
8 some context is important for how you put in there. The
9 application method may be different, maybe that RT-25
10 value was generated 15 ago and now the product is only
11 soil applied, for example, so I think the context of --
12 of that information is really important and it is,
13 frankly, why we don't believe it serves a great purpose
14 on the label, we think it's probably more useful to -- to
15 put it on a website.

16 And I would say to the -- to the comments about
17 contention and -- and arguments, David, maybe I've been
18 doing this too long, I didn't think it was that bad. I
19 mean, I thought we actually worked through some -- some
20 very difficult things and came to some -- some area of --
21 or areas of agreement that's good. And I think one that
22 is consistent throughout all of the different
23 stakeholders there was that we want clear, understandable
24 language, we want language that's protective, and we want
25 -- and we want language that's enforceable.

1 And, frankly, that's where we really start to
2 stumble is what's enforceable, what's clear enough to be
3 enforceable. Because we hear loud and clear that if you
4 say bees are foraging, what people really want to know is
5 how long after you spray can the bees be back in the
6 area, and that is dependent on a risk assessment that is
7 product specific. And so we don't see a way around
8 having to, you know, have EPA continue to do what they've
9 been doing, which is use the data that they have, do a
10 risk assessment, and then determine. You know, don't
11 apply for eight hours, two hours, 48 hours, whatever it
12 is based on the risk assessment for the product.

13 MR. BRADBURY: And Steve?

14 MR. COY: Wow, glad -- I'm glad I let you go
15 first. So I'm going to be somewhat the harbinger of doom
16 and gloom, and -- and I am pretty assertive in these
17 calls, but the subgroup was not able to complete the
18 charge. We were able to agree on -- on what the problem
19 is, like, as you described. You know, the best thing we
20 could come up with was that foraging was what -- what
21 needed to be used, and that's what the EPA was already
22 working towards. Many of the current labels, the way
23 they're written, it's -- are pretty good, except they're
24 just not quite enforceable, and -- and that's -- that's
25 really the meat and potatoes of it.

1 Early on we asked for lists of these terms, like
2 actively, some of the other terms that are used in the
3 label, so that we could get a sense of why they were
4 being used, and I guess that list doesn't exist and --
5 and -- and it's -- it's too difficult to -- to create it.
6 So my hopes -- my hopes was that we could use the RT-25
7 data, and -- and this is mostly based on my ignorance of
8 what RT-25 is. But my hopes was that we could use the
9 RT-25 as a -- as a way to, I guess for lack of a better
10 word, restrict timing of applications or at least set the
11 timing of -- when timing of application would be allowed,
12 and it -- it may not -- it may not work out the best what
13 to do.

14 But the single biggest issue is that the labels
15 are not enforceable in the areas of pollinator protection
16 and we need to work towards a way to make them
17 enforceable, and if RT-25's not that way then we need to
18 find out -- figure out how we can do that. And -- and in
19 that discussion of -- of 25s, it was brought out that
20 Oregon State, I believe, has had that data published or
21 available for 10 or -- 10 or more years. And it -- it
22 was -- my question is, who could evaluate how effective
23 that was? Because I think putting that information on a
24 website, having it on the label that you look at a
25 website for that information, it's not going to be very

1 effective at protecting pollinators, which is the whole
2 purpose of this discussion. So if -- if someone could --
3 could evaluate how effective Oregon's site is at making
4 that data useful, I think that would be our process
5 alone.

6 MR. BRADBURY: I open it up to other members of
7 the committee, questions, or suggestions, or feedback on
8 -- Mae?

9 MS. WU: It would be helpful for me to
10 understand a little bit more about what the larger
11 regulatory context is here, it's sort of -- we heard
12 about USDA and some of the things that are going on there
13 in terms of pollinator protection, great, tweaking labels
14 to make them more enforceable, lots of arguments,
15 perfect, what's -- what's EPA doing in a larger sense? I
16 would love to hear more about sort of regulatory actions,
17 other things that are happening, because this is a pretty
18 big crisis and I don't -- I haven't heard a response on
19 that level yet, I think I just might need more context.

20 MR. BRADBURY: Right, and I want to be
21 respectful to your request, but I also have to deal with
22 a history of how we're going. If we got a little bit of
23 time, we can go through everything in our web page, it's
24 fairly current and it lays out everything we're doing
25 from advancing the science, to enforcement, to some of

1 the things we're talking about here in terms of BMPs, the
2 labeling, the -- it goes back to about 2009, you can see
3 the whole trajectory of things that are going on, and
4 informed that this work group in 2011, as I recall, to
5 start to help us figure out how to move forward on
6 labeling, how to move forward on education and training,
7 how to move forward on BMPs, how to move forward on
8 enforcement, and so what you're hearing in this meeting
9 is the report out from some of the tasks that either 75
10 or 180 people are -- are working on.

11 And so we'll figure out a way to maybe, maybe
12 not right now, go through the last four or five years of
13 efforts in space, and undertakings, and our sense of
14 urgency of moving forward, and one area we want to move
15 forward would be if the risk assessment and the labeling
16 language was intended to protect bees.

17 But if you read the label, you can't understand
18 what the label means, then all the work on the risk
19 assessment, and all the work on the risk mitigation, and
20 the intent isn't going to be fulfilled, because people of
21 good will don't understand how to do the right thing.
22 And so this group is trying to give us some advice not to
23 solve the entire problem of the tens of thousands of
24 labels that are out there, but if we could start ticking
25 off some low-hanging fruit, what would be some initial

1 steps we could do to try to -- to get there. Sorry. I
2 lost track of order. Mae?

3 MS. WU: I think it would be useful -- I forgot
4 who was talking about enforcement. I think Brian is
5 understanding, like, why a term like presence isn't
6 enforceable, because -- and -- and what makes a -- you
7 know, and what it would require to make a term more
8 enforceable, just like an act of congress to define the
9 term or what is it that you ---

10 MR. ROWE: Okay. In 10 seconds or less, when we
11 get a pesticide complaint, we go out and investigate, we
12 collect evidence, we take statements, and we make a
13 determination as to whether there's been compliance with
14 state law and primarily the use on the pesticide label.

15 So a pesticide label, it says, apply two ounces
16 per thousand square feet, and I've got a record, and I
17 know how much is applied over a square foot area, it's
18 linear, I can measure it, I can calculate it out. You
19 put it on at three ounces per thousand square feet,
20 that's a violation.

21 All right. Now you say the -- the -- the
22 product says, do not apply when bees are actively
23 foraging in the area, the only way I can collect that
24 piece of evidence is to be there when the application is
25 made to see if bees are actively foraging. If we get the

1 complaint 10 seconds after the application, I can't -- I
2 have missed that window for that evidence.

3 So it's -- it's -- it's not that I don't suspect
4 the bees might have been killed by the pesticide
5 application, I can collect a sample, the pesticide's
6 there, but it -- you know, dead bees, they come back
7 positive for the product that the farmer next door
8 sprayed, but the piece of evidence that makes it a label
9 violation is that I can prove that bees were present.

10 And it's not -- there is -- there is a
11 reasonable doubt when you start to put all the other
12 dynamics of bees and how -- I'll let -- I'll let
13 beekeepers chime in too. You know, bees forage over a
14 five -- you know, two -- what, maybe typically two-mile
15 radius, but may go five miles, and my numbers might not
16 be correct, but -- and in that area there was also 12
17 other people that applied that corn herbicide on -- you
18 know, within that time frame or whatever, so how do --
19 how do I prove beyond a shadow of a doubt that it was
20 that area?

21 MS. WU: Okay. So -- so I understand, you're
22 saying that foraging isn't even enforceable, is that
23 right?

24 MR. ROWE: Well, what I'm saying is that if I
25 have to prove that bees were foraging in the area, I have

1 to be there to collect that evidence at the time of the
2 application.

3 MS. WU: Oh. So, so far, like, none of the
4 recommendations really --

5 MR. ROWE: Well --

6 MS. WU: -- coming from the --

7 MR. ROWE: -- no. No, I don't think so, because
8 I think part of what the recommendations are is that if
9 there's a need, I'll go back to product specific -- a
10 product-specific issue has a specific need. You could
11 put something on the label like, do not apply between the
12 hours of two hours after sunup and two hours below --
13 before sundown, because that's when bees are actively
14 foraging. And now if a guy applied it at noon, I don't
15 have to be there at the --

16 MS. WU: -- right.

17 MR. ROWE: -- time of the application.

18 MS. WU: Right.

19 MR. ROWE: This is what -- this is the tool, if
20 you're going to call it a label violation, that Steve was
21 alluding to. And -- and it -- you can't make one cookie
22 cutter for every label, it won't work that way.

23 MS. WU: Okay.

24 MR. ROWE: It's going to have to be product RT-
25 whatever specific.

1 MS. WU: And so what you just described, they
2 don't apply at these times, is that on the table, is that
3 -- that's not -- I -- okay.

4 MR. BRADBURY: Okay.

5 MS. BAKER-SMITH: Just -- just -- this may --
6 for your explanation, coming back to -- it's not just
7 product specific, it's also crop specific, because you --
8 when pollen is shed, when you need to do an application,
9 and so, again, this is actually a really complicated
10 question. And I think the other element is how much of
11 the label are you focusing on, enforceable components
12 versus educational components, so I think to me the
13 foraging is very much about these are the things you need
14 to watch out for.

15 So I think the other part of this dialogue is
16 distinguishing between what's to be enforceable, versus
17 what's to try and make sure these are the things that are
18 considered before you do an application.

19 MR. BRADBURY: Thanks. And I was going to
20 clarify too that language on the labels can also be
21 advisory or helpful for an applicator to be thinking
22 about how to do things to hopefully avoid a situation
23 where you'd even need to have --

24 MS. WU: Um-hum.

25 MR. BRADBURY: -- an incident to -- to -- to

1 investigate. So some of the dialogue here, it is
2 important to keep track of the point that I think the
3 group is raising. So you've got some words that say
4 visiting, you've got some words that say active foraging,
5 you've got some labels that say foraging. Given that may
6 be not in the hardcore-enforceable zone in the label, if
7 it's intended to provide information to an applicator to
8 -- to look at this product and think about when should I
9 use it, how should I use it, if it's confusing it's not
10 helpful.

11 But I think one of the things this group was
12 looking at is if there's visiting, actively foraging,
13 foraging, maybe there's -- I think the proposal was,
14 maybe foraging is just crisper, cleaner, maybe less
15 confusing to provide advice to the applicator.

16 MS. WU: Oh. Okay. Well, in my ignorance,
17 which may be useful --

18 MR. BRADBURY: Um-hum.

19 MS. WU: -- as, like, you know, ignorant as, you
20 know, somebody who's just a homeowner who's spraying, or
21 whatever, it's like the term foraging to me actually I
22 feel like I -- it would conjure up, like, is the bee
23 eating in this property, versus, like, a present term,
24 which is, oh, I see a bee, I can't spray right here. So
25 I'm thinking of, like, a big Wal Mart bee kill, right,

1 where it's just some guy at Wal Mart decides to spray the
2 trees. And so if -- you know, if the term foraging had
3 been on there, I'm not even sure that that would have
4 been helpful in that kind of -- like, the unexperienced
5 applicator.

6 MR. BRADBURY: Scott and then Tom.

7 MR. GORDON/SCHERTZ: Okay. First off, I think a
8 fair amount of this discussion is a bit myopic of putting
9 all the responsibility on applicators and growers. I
10 mean, this is about the keepers also. So when you start
11 talking about restricting application time, it's also
12 restricting when the bees are there. And Cindy alluded
13 to it, but I will bring it up more clearly, that they are
14 responsibilities upon notification in many areas.

15 Also, I do take offense that the term, "During
16 bloom," is seen as an improvement, I -- I do think
17 there's real problems with that also. But I won't take
18 this too far, but I think the overall purpose of this
19 discussion is to protect pollinators and grow crops, it
20 isn't just to protect pollinators. Yes, we do want to
21 respect them, we obviously want to do the BMPs around
22 them, and we still have valid insect control needs even
23 during the daytime. Thank you.

24 MR. BRADBURY: Tom and then Ray.

25 MR. GREEN/DELANEY: I think as far as

1 professional applicators, at least in the ornamental and
2 turf area, I think it's not as much important what words
3 you use, as how you define it and -- and how you to train
4 to them. And, you know, the state regulators are the --
5 are the final decision makers on how they want to
6 interpret and -- and make the decision.

7 I think we look back maybe on the -- the drift
8 labeling, and I'm not saying I like all what's happening
9 with that, but just when Dave Scott did that survey of
10 all the states on how they interpreted drift and
11 whatever, and then giving actual examples where you could
12 read and understand what a violation was by reading an
13 example. So you define the word, and you read an
14 example, and then, you know, actual cases -- bee-kill
15 cases having information about them, people learn from
16 other people's mistakes a lot.

17 So I think maybe if we look back at the drift
18 language and we look how some of that was researched, it
19 might help us with the bee situation, bee kills, and
20 protecting pollinators.

21 MR. BRADBURY: I think I said, Ray, and then
22 Cheryl/Sheryl.

23 MR. MCALLISTER: By the time it gets here, most
24 of what I had to say has been said. But I -- it doesn't
25 -- foraging, versus visiting, versus actively seems like

1 it's, you know, three words, small progress, but I think
2 it's a big step. It -- having made decisions like that,
3 it can allow us to focus on the -- the more crop-specific
4 situations where we can make a difference in providing
5 the best instructions for the user and determine where
6 that needs to be in -- in a -- the realm of education
7 versus enforcement.

8 MR. BRADBURY: Thanks. Cheryl/Sheryl and then
9 Michelle.

10 MS. CLEVELAND/KUNICKIS: Okay. So -- so in the
11 broader context of this whole group, I just need to bring
12 up the point I'm sure has been covered ad nauseam down in
13 the subcommittee, but the RT-25 is formulation specific,
14 crop specific, biography specific, it's a screening-level
15 tool, and it's informing some of this language. But the
16 risk of trying to line up active, after active, after
17 active with screening-level data that was generated 10
18 years apart, the risk is people are going to go down the
19 line and say, okay, something that has 16 hours, versus
20 nine hours, versus 48 -- well, I'm getting a little bit
21 -- 16 versus 19 is probably no different. Three versus
22 48 may be -- would be different.

23 And I think the -- the fear is that not only
24 would maybe this website not only be used, but it also,
25 if it -- if the list becomes more public, it's just going

1 to be used as a black list and inappropriately, rather
2 than going through and having a true screening tool that
3 goes apples, to apples, to apples.

4 MR. BRADBURY: Nichelle and then Gabriele.

5 MS. HARRIOTT: I kind of disagree with that
6 statement. I feel like -- and I have not been a part of
7 these discussions for very long, but I feel like the RT-
8 25 does serve as a -- the labels. And, of course, it's
9 not an enforceable statement by any means, but it can
10 help inform the farmer and the beekeeper as to what types
11 of admonishment practices are in place while they're --
12 maybe something to the -- to the label, maybe something
13 along the lines of -- for example, this is the RT-25, is
14 it will take eight hours, maybe a statement -- a
15 disclaimer statement saying, you know, application of
16 this product can remain toxic, but is not on the label.
17 You know, it can be a -- a useful educational tool when
18 it comes to maybe that kind of best practices.

19 MS. LUDWIG: Yeah, different -- slightly
20 different issues. One is just -- I keep coming back to
21 the issue of BMPs versus label, because I know there's a
22 lot of folks on the label language, but can EPA remind us
23 how long it takes to change from unlabeled, what is that
24 process?

25 MS. BAKER-SMITH: Well, I mean, it -- it

1 depends. If we have -- we -- in the past we've had label
2 improvement programs where we've had labels come in, and
3 had statements put on them, and we've made special
4 efforts to approve those -- those changes, so it -- it
5 depends. If it just comes in as a PRIA action, obviously
6 it would get a PRIA time frame. When we had
7 notification, we had that time frame that we did it, so
8 it depends on how it comes in. And, of course, there's
9 the time for the registrant to incorporate into their
10 production schedule and into their --

11 MS. LUDWIG: Right.

12 MS. BAKER-SMITH: -- into their season, or else
13 it can -- it can vary a little bit and then --
14 (inaudible) -- products.

15 MS. LUDWIG: Thanks.

16 MS. CLEVELAND/KUNICKIS: Talking -- so let's say
17 you had the perfect deforaging label language, this is
18 what you want to put on there. I mean, specifically what
19 would happen is just simply as labels would be coming up
20 for review, either through the registration review
21 process or because a new use would come in, then you
22 would do the review, so it would be sort of a -- or is
23 there some time when you would actually do -- you want
24 all the labels for these 10 products to come in so we can
25 review them?

1 MS. BAKER-SMITH: And we've done that before.

2 MS. CLEVELAND/KUNICKIS: Okay.

3 MS. BAKER-SMITH: Throughout history of --

4 MS. LUDWIG: Yeah.

5 MS. BAKER-SMITH: -- my career, at least. This
6 is a long time, so you can -- you can do that. And then
7 we've also done the other approach where it's been
8 incorporated into re-registration or the next time the
9 product comes in the door.

10 MS. CLEVELAND/KUNICKIS: Um-hum.

11 MS. BAKER-SMITH: But, you know, it depends on
12 how -- it's -- it's risk driven really, and how important
13 it is to get the labeling which -- on the product.

14 MS. CLEVELAND/KUNICKIS: Okay.

15 MS. BAKER-SMITH: We've done -- we've done both
16 of those for years.

17 MS. CLEVELAND/KUNICKIS: Okay. And then one --
18 one thing I was wondering, what -- with the BMP
19 discussion, is -- you know, and I just can't -- I've been
20 part of that, was how much of BMPs for beekeepers'
21 pesticide application, since part of the discussion are
22 also captured on that website, I just don't remember,
23 don't -- just don't know where that's been in the full
24 discussion, there is a section on that?

25 MR. BRADBURY: Yeah, that -- and I remember

1 Wayne Buhler's presentation last time where there's a
2 place to click and it also provides in the site --

3 MS. CLEVELAND/KUNICKIS: Okay.

4 MR. BRADBURY: -- some light controls. Okay.

5 MS. CLEVELAND/KUNICKIS: I just wanted to check,
6 because I couldn't remember that. Thank you.

7 MR. BRADBURY: Okay. Andy and then Brian.

8 MR. WHITTINGTON: Again, I'm very new and I
9 don't know who I really made mad, but I apologize if --
10 if -- if this is ground that's been covered before, but
11 as -- as far as -- a the RT values in -- in bees, are we
12 talking about crops where the -- where the farmer brings
13 in bees for the sole purpose of pollinating his crops, so
14 it -- you could bring the bees in and then inform the
15 beekeeper that you need to spray. He can pick -- he can
16 remove the colonies, and as an RT value there's 48 hours,
17 just not bringing those back for 48 hours, as opposed to
18 I spray 4,000 acres of cotton and I don't know when bees
19 are going back and forth, they don't leave, return entry
20 intervals, fine.

21 And not to be glib, but it's -- but it's -- it's
22 -- you know, the label is the law, you don't want to wind
23 up with somebody that -- I -- I mean, this is -- there's
24 a huge difference, you know, in variability of farms and
25 farm size is what makes a lot of this extremely

1 difficult. I -- I can imagine for you, but even for me
2 to kind of get my head around how do we work on some of
3 these issues.

4 MR. BRADBURY: Thanks, fair statement. Brian?

5 MR. ROWE: I'll take a crack at it, yes. It --
6 I think there's a lot of interaction, there are a host of
7 examples the work groups have talked about over time with
8 regards to good, cooperative interaction between a grower
9 who relies on a beekeeper to provide pollinators, because
10 you won't have a crop without them, and -- or -- or she
11 won't have a crop without them, and -- and the beekeeper
12 -- and -- and there's a communication track there that
13 the beekeeper, they bring them in and I've got to spray
14 tomorrow. The beekeeper takes them out, you know,
15 whatever the case may be, good interaction in some
16 situations.

17 But there's also, I think, a lack or -- of -- of
18 understanding in an orchard that no longer needs the
19 pollinators, but it's going to spray for, I don't know,
20 plumb cucurio (phonetic) or something like that. And so
21 as a result of that spray, you're not paying attention to
22 what's blooming on the -- on the orchard floor and bees
23 could be actively foraging in that area. And so I -- so
24 bees can be on site at any point in time, I think that
25 was -- the point David was trying to make was, you know,

1 bees are in and out of these areas all the time and --
2 and -- and so the relationship between a beekeeper and a
3 grower is probably pretty well structured.

4 But the relationship between not knowing that
5 there are bees two miles over that are now hitting the --
6 whatever's growing along the edge of my property, and I'm
7 spraying my property, and -- and I'm going to have an
8 adverse effect isn't structured, there's not -- the --
9 the -- that's potentially going to result in a -- in an
10 exposure and application situation. I'm not sure that's
11 really answering your question, but it's -- the labeling
12 is intended to sort of deal with both.

13 MR. BRADBURY: Maybe one or two comments on the
14 labeling. We've sort of gotten into the RT-25 merits or
15 not, and putting it on the web or not, so I think I've
16 heard good conversation there. But I didn't mean we
17 can't talk about that a little bit more, but I just
18 wanted to make sure there was enough time to followup on
19 the recommendations from the enforcement work group as
20 well just to make sure we got clarify on some of our next
21 homework, but people want to not say no to continuing the
22 labeling. RT-25, a couple more on that, then we'll talk
23 a little bit about enforcement.

24 MR. ROWE: I'm sure Andy's not the only one that
25 has those questions, but these bees can forge in a 28-

1 square-mile area around that colony. But it's not only
2 bees, we're talking about pollinators. And if a plant is
3 blooming, then it is attractive to pollinators. And --
4 and it's my opinion that one should take -- make the
5 assumption that if it's blooming, pollinators are either
6 there, has been there, or will be there. That's --
7 that's -- the approach that I try to take is we're
8 writing these label statements for pollinators that
9 either have been there or will be there if the plant is
10 attractive. And if it's blooming, it's going to be
11 attractive.

12 MS. LUDWIG: Andy, you're starting to dawn on me
13 how big of an issue this is. So the -- the -- it really
14 comes down to -- help me understand on this discussion,
15 is when -- when you're talking about growers, we need
16 plant-protection tools. If you talk about beekeepers,
17 they need bee-protection tools, they have pest problems
18 just as much as -- as plant people do.

19 You all need pest control tools, the issue
20 becomes how do we manage them in ways that don't hurt
21 each other too much. And this is a really complicated
22 issue, because it's not just for almonds during almond
23 bloom when we need pollinators and they're purposely
24 brought in. We have the whole issue of substantial
25 habitat laws in place that have completely changed, you

1 know, what those bees that are spending time there and
2 how much are exposed to less now.

3 There's a whole bunch of issue around it and
4 it's -- the question we're all asking in this room is how
5 do we balance the need for the plant protection, the need
6 for pest protection, bee-protection tools, with the fact
7 that, you know, specially insecticides are intended to
8 hurt insects, that's the tension.

9 MR. BRADBURY: All right. (Inaudible.)

10 UNIDENTIFIED MALE: I'd like to bring up just
11 three things. Maybe it would better if we'd change this
12 subcommittee to honey-bee health instead of protection;
13 and then the thing that as a grower I want to bring out
14 is that we try and use resistance management in the
15 pesticides that we use; and then third a lot of what
16 we've talked about today could be targeted or nontargeted
17 areas that have been sprayed or will affect the bees in
18 those areas.

19 MR. BRADBURY: Thanks. Any comments or
20 additional input on the enforcement group report out?

21 MR. ROWE: I -- I -- the reason I had my card up
22 earlier was to make sort of an ABCO statement, which
23 parallels what we heard from USDA, and that is now that
24 we have some guidance the very next thing that people are
25 looking in my direction for is training, because there is

1 very little bench in pesticide regulatory inspector work
2 force that understands colony dynamics, understands what
3 to look for when you approach a colony, what's flowering
4 in the area, what's the cropping pattern in -- what did
5 you say, in a 28-square-mile area around the colony, and
6 so that's what the bee inspection guidance was intended
7 to deliver, and -- and I think it does provide a good
8 basis for a start.

9 BETA tested this year, go back and tweak it in
10 the fall or winter months, get it ready for next year,
11 but training is a significant need now. And so where
12 those resources come from, whether they're the existing
13 EPA-funded regulatory programs -- I mean, we're -- we've
14 got one coming up in August in -- in Michigan where our
15 marquee banner topic is pollinator protection, and so
16 anything that can be done to support training for the
17 pesticide inspection work force out there is -- I think
18 it will be money will spent and will support state
19 involvement in investigation-related activities.

20 MR. BRADBURY: Tom?

21 MR. GREEN/DELANEY: Do these -- Brian -- Brian,
22 does EPA still do priority setting on enforcement grants
23 and stuff? I -- I wonder if, compliance monitoring,
24 you've got any data on how many bee kills happened last
25 year from the states and stuff on the state reporting and

1 whatever, and at some point, you know, they take it as a
2 national priority, then all the states are working on it.

3 MR. ROWE: You want to speak to that one?

4 MR. BRADBURY: So we've been working with OECA,
5 that's the Enforcement Compliance Office in lining up
6 program priorities with enforcement and compliance
7 priorities, and this is one of the areas that we're
8 aligning within the region. So that -- from a program
9 perspective this is a high priority for the pesticide
10 program, lining that up with enforcement compliance
11 priorities, and then that usually starts to correlate
12 with how the state grants are going in terms of the
13 enforcement side and the programmatic priorities.

14 And I think the enforcement guide that is coming
15 out in region five is working, they took the lead in a --
16 on the regional perspective, it doesn't mean states in
17 that region, working with OECA, and us, and some of you
18 being able to provide input on the draft, it sort of
19 illustrates how we're trying to align -- align our
20 efforts to maximize limited resources.

21 Okay. So I'm going to try to give you a sense
22 of where -- I'm going to talk to all my colleagues, of
23 course, but sort of the sense of where I'm hearing input.
24 And like I said in the opening day, sometimes you get --
25 go around the room and everybody's going, yep, yep, yep,

1 yep, yep, yep, and I go, that's pretty easy.

2 Other times, like spray drift, you can't ever
3 quite get home, per se, but you do make progress, because
4 you see certain areas of where you get some agreement
5 and, you know, your choices, do you wait to start running
6 the marathon until you finish the marathon, or do you
7 start running, and then get to the next mile marker, and
8 get to the next mile marker, or wait, and wait, and wait,
9 and wait?

10 So my sense in hearing some of the -- the
11 dialogue is that is there -- we don't have perfection,
12 we're not going to solve all the label problems all at
13 once in the next handful of days, or whatever time unit
14 you want to use, but I'm -- I'm sensing that a general --
15 and where I'm internalizing it and the thing about where
16 we're going to go is that there is some low-hanging
17 fruit, there are some things we can start to do with
18 getting some words clarified. That doesn't mean we
19 solved the problem, but we started to click -- click some
20 aspects off, okay, now let's move on to the next
21 challenge that we need to take.

22 Without forward progress, you're not going
23 forward. And we need to go forward and we will go
24 forward, so I'm -- I'm going to be working with the team,
25 and then we'll get back to everybody. But my sense is

1 there's some tangible, real things that can be started,
2 and by starting them we can start to see what the next
3 step is going to look like, and we'd talk a little bit
4 about this process of how do you move labels more
5 efficiently. Getting started with a piece of this puzzle
6 could give us some insights also on some mechanisms by
7 which we can see which ones belong.

8 The BMP part is really important, because even
9 if we can't change all the labels all at once overnight,
10 and even if we could, you must understand what those
11 changes mean, right, and you've got to work with the
12 states, colleagues, and -- and others to help communicate
13 an extension. There are new labels on the -- in the
14 field right now, everybody wants to do the right thing,
15 but they have to have -- they have to understand what it
16 means. And so by taking some steps, we can start to
17 build up that infrastructure and that capability to start
18 to gain more momentum in, labels are starting to change.

19 Here's a change you're seeing now, it's a
20 prelude to probably other changes coming along, but it
21 starts to help build up the momentum of -- of change.
22 But I'm -- I'm thinking there's some things that came out
23 in the BMP context via web, via training that I think we
24 can start to see about making -- making it happen. And
25 the enforcement of training recommendation, we'll be

1 working closely with the AWECA, and ABCO, and firing
2 (phonetic,) and NASDA, and -- and extensions just to see
3 how we can help make that go and get some metrics back in
4 terms of how many -- how many opportunities do we have to
5 work with inspectors just to get through the enforcement.

6 To the extent there are incidents that are
7 showing up an the time was right, it could be tried out
8 in guidance of how did it work, what worked, what didn't
9 work, what was hard to understand, what was very
10 straightforward in terms of executing what the guidance
11 indicated. So it's sort of that level of the messages,
12 we're going to take some of the recommendations, and
13 we're going to start doing some, we're going to start
14 implementing aspects of them.

15 But it's going to be incremental, but I think it
16 starts to set the bar up another notch. Is it all the
17 way? No. But is it a start? Yes, so we're going to
18 start moving forward, and then we'll get back out to the
19 work group, and the whole PPDC, and all the public
20 communicating sort of the specifics of that. I also take
21 to heart, especially in labels, work, the -- the
22 importance of working with the states, and we've done
23 that in the past in other programs, like the soil
24 fumigants as odor moving forward to make sure that we had
25 some coordination.

1 And that gets to another part of Gabriele's
2 question, as -- if some of these changes are happening at
3 the federal level, sometimes there's a ripple effect into
4 the state registrations and to what extent there may or
5 may not be changes there, so working closely with the
6 state health will help to streamline some of the
7 processes going on. If they have to be state
8 registrations, changes that follow the federal change, so
9 we'll definitely be working with ABCO and spy regs to --
10 to try to streamline that activity as well.

11 The RT-25 is something we'll -- we'll think
12 about, in the concept of a pilot, to sort of help see how
13 people are interpreting how it's being used. I mean, the
14 RT-25 is dermal toxicity, and so it gives you a sense of
15 this time frame, as I understand it, that a product could
16 be toxic to 25 percent of the DE at that -- at that time
17 window. But it doesn't necessarily tell you about oral
18 toxicities, which is a different exposure route, and the
19 RT-25 doesn't really get at that.

20 So there's some -- some important aspects that
21 I've heard about being really clear about what it is,
22 what it isn't, how you -- how to interpret it, how not to
23 interpret it, just because could inadvertently find
24 yourself picking something else that may create a
25 different picture that -- wow, maybe that picture isn't

1 so good either, so you want to think about that, but --
2 but pilot ideas are -- are sometimes helpful in ways of
3 seeing if what you intended to accomplish is being
4 accomplished.

5 And then if you've got limited resources, not
6 only for us, but for all of you to get the feedback, if
7 something's working, taking a smaller step to try
8 something out, can use resources wisely so we can
9 maximize getting where we want to get. So we'll make --
10 we'll make changes in the label language, we're going to
11 start. It won't be everything, but it will be a start.
12 We'll also get some insights on the implementation
13 process, we're going to have to work on education and
14 BMP, and so we're going to ramp that up working with
15 colleagues, and USDA, and else where.

16 I'm trying to think about the RT-25 thing, but
17 I'm thinking of pilot. There's probably a way to sort of
18 explore some of the various opinions that we've heard and
19 get some -- get some data, get some facts and see how the
20 different ideas actually play out once we can kind of try
21 it out, and then we'll be working on enforcement guidance
22 and getting feedback on how that enforcement guidance
23 came out. That's pretty much a federal/state sort of
24 task we have to take on, but we'll definitely be
25 reporting back out to you as we start to -- to get these

1 datas on -- on how well it -- it plays out.

2 All right. So I wanted again to thank all of
3 the people on the work group and all the heartfelt
4 thoughts. I mean, this is hard and I really appreciate
5 the fact that this work group, with folks from all sorts
6 of different organizations, and backgrounds, and
7 perspectives, are probably frustrated as you know what
8 and still roll up your sleeves and still keep trying to
9 figure out how to move forward, because I don't think
10 there's anybody in this room or colleagues that are on
11 these work groups that call in that don't want to ensure
12 that we're protecting pollinators and realizing it has to
13 happen in an agricultural production system.

14 We're in residential neighborhoods and we've got
15 to figure out a way to do it. And as Sheryl/Cheryl is
16 indicating, it's a complex problem, it's multifaceted.
17 If it was simple, we would have done it years ago. It's
18 not simple, it's complex, but we can solve it. But we
19 need all of you actively contributing to help solve the
20 problem, because none of us can -- can solve it alone. I
21 just want to thank everyone for the hard work up until
22 now. And I know there's a lot of hard work still before
23 us, and I appreciate all the effort and contributions
24 that you're all -- you're all making.

25 So with that, we'll close out the pollinator

1 protection section, and thanks, Rick, Lois for helping
2 the group along. And we'll now move into the next
3 section, which is our report out on the PPDC work group
4 with health. And I'll turn it over to -- to Lois to at
5 least -- maybe start with Rose.

6 MS. ROSSI: Yes.

7 MR. BRADBURY: So --

8 MS. ROSSI: Oh, here she is.

9 MR. BRADBURY: -- you want to start with Rose?

10 MS. ROSSI: Um-hum.

11 MR. BRADBURY: Okay. Which part is that?

12 (Brief break in tape.)

13 MS. FERENC: The public health work group met
14 yesterday morning and we were -- we're going to give you
15 just a little background on this health work group for
16 those of the people who are new to PPDC, and what we do,
17 and what we're about, and then just briefly go over what
18 we talked about yesterday.

19 A lot of new people on the PPDC right now, so
20 I'm just going to very, very briefly go through what the
21 public health work group is and what we do, so that if
22 anyone's interested in -- in joining the work group or
23 following the work group activities they'll be able to do
24 so.

25 Basically, the work group was created to talk

1 about pesticides that control pests with backdoor
2 diseases, that's how we use the term public health.
3 Basically, public-health pesticides, things that are used
4 to kill rodents, mosquitos, bed bugs, the rest of them.
5 And the issues that the work group was created to address
6 are the broad spectrum of the regulatory policy,
7 programmatic, the environmental issues, technical,
8 economic reasons, science policy decisions.

9 I think one of the things that we were looking
10 forward to get when we created this work group was to get
11 some input into the public, be able to reach into that
12 small niche of people that use this, need this to control
13 disease. And it sometimes can be overlooked in our
14 stakeholder processes, because the world of pesticides is
15 so enormous and this niche is quite limited. And some of
16 the people in that niche aren't following what we're
17 doing quite so closely, because it is such a small piece.

18 So this work group was created to try to have a
19 stakeholder group that can provide us with input into
20 that -- into the -- that group of pesticides. And
21 basically we've identified three critical roles for the
22 interactions with EPA, the work group did this initially
23 and it's -- it's an advisory panel under FACA, it's a
24 portal for stakeholders to bring in issues of concern to
25 us, and then a forum to discuss the -- any elements or

1 items of common interest that we might have, and we try
2 to kind of distribute each meeting to be -- to address
3 these different areas.

4 And the goals of our work group is, I think as I
5 already mentioned, to kind of get a broader stakeholder
6 input. And stakeholders include people from departments
7 of public health, community, environmental organizations,
8 proponents of children's health, and other government
9 agencies.

10 Now I'm going to talk a little bit about what we
11 did yesterday. We held a meeting yesterday from 9:30 to
12 11:30, and we had three major topics. The first one was
13 we discussed the repellency mark program, which Rose
14 Kyprianou's going to address and talk about our
15 discussions when I'm through here.

16 We talked about the -- the draft federal bed bug
17 strategy, which is a strategy that we have that -- that
18 EPA has been working with CDC -- our federal partners of
19 the CDC, DOD, USDA, NIH, and HUD, sorry, to -- to
20 generate the strategy, and it's a joint strategy,
21 interagency strategy, we've been working on it for, oh,
22 probably a little bit over a year now. And so we kind of
23 used this as an opportunity to just share our process
24 with this work group what we -- how we are releasing it,
25 what our plans are for it, and we can just kind of do a

1 brief discussion of the overview and the key parts of
2 that.

3 The other third item that we discussed yesterday
4 was a -- a discussion about efficacy data, best
5 management practices, and informed labeling, and that was
6 just a -- really a preliminary discussion for us to speak
7 with the stakeholders about some of the implications of
8 efficacy information, and -- and this is a -- particular
9 to public health pesticides, if you have efficacy
10 information, if there's information that has -- that --
11 that we know about, but that is not necessarily on the
12 label that would provide us with additional ways that the
13 pesticide could be used more effectively.

14 So, for example, and this -- this has come to
15 the floor because of the recent movement to update the --
16 and to create new bed bug guidelines. And our new bed bug
17 guidelines are -- are not necessarily just the, you know,
18 spray/kill type of evaluation, but it's -- also there's
19 going to be information in those guidelines that we're
20 going to receive about how that pesticide is used, does
21 it kill eggs, does it work on different surfaces, things
22 like that.

23 And it would be good for us to be able to put
24 that on the label, so that the efficacy data might not --
25 the efficacy information might not just read into the

1 label as this kills bed bugs, but might say, you know, it
2 kills -- it kills the bugs, it -- you -- you need to --
3 the retreatment interval, as to whether or not it kills
4 the eggs. And you would want to specify a retreatment
5 interval that would actually encourage good use of that
6 product, so that people don't expect to -- to be able to
7 spray that product, kills their bugs, and they're done,
8 so just to better-inform labeling.

9 As I said, this was a very preliminary
10 discussion, we -- we just kind of had a little bit of
11 back and forth to start to tee-up this issue and to
12 discuss it. And I think at the end of it we just -- it
13 -- it was -- everyone in the room agreed that this would
14 be beneficial information to the users and that EPA's
15 going to look at this, investigate this a little bit
16 further, and report back.

17 I -- there's -- also I had a -- a slide here,
18 but there's -- I wanted to -- can you go to -- the very
19 last slide is it? It that it? Yeah, that's a list of
20 some of the topics that we have addressed in the past or
21 we have identified as issues that this work group can and
22 will work on, so I just wanted to put that up there in
23 case any of you are interested in any of those issues or
24 if you have different concerns. And if anyone is
25 interested or would like additional information, you can

1 contact Lois or myself to -- to get that information. So
2 I think we'll do -- if anybody has any comments now on
3 this information, or do we want to turn it over to Rose
4 and let Rose --

5 MR. BRADBURY: Any clarification questions for
6 Susan? Ray?

7 MR. MCALLISTER: Have bed bugs actually been
8 designated a public-health pest?

9 MS. FERENC: -- yes, bed bugs were designated a
10 public-health pest in 2001 with a statement with CDC,
11 EPA, and USDA as part of our list of public-health --
12 lists of pests of significant public-health importance,
13 yes. And we also had a reaffirming, highlighting
14 statement that we issued about two years ago with CDC,
15 and there's a joint statement that highlights the public-
16 health implications of bed bugs.

17 MR. MCALLISTER: Are those tests listed in the
18 regulations?

19 MS. FERENC: They're listed in the PR notice
20 that --

21 MR. MCALLISTER: Public-health tests?

22 MS. FERENC: -- yes.

23 MR. MCALLISTER: Okay.

24 MR. BRADBURY: Yeah?

25 UNIDENTIFIED MALE: I wanted just to clarify a

1 little bit about the bed bug issue. We talked a little
2 bit about that in the meeting yesterday, and, you know,
3 one of the -- the issues came up that once you get past
4 the yuck factor and the nasty rash, how much of it really
5 is a -- is a public-health problem compared to just
6 little mosquitoes that will -- will carry other insect-
7 borne diseases?

8 So I think that one of the issues, and I kind of
9 look at public health a little bit differently in terms
10 of more disease measurement in populations, and I -- I
11 think that -- I don't know if it's a role for EPA in this
12 public-health group or somewhere else, but maybe we can
13 widen the scope a little bit and look into that a little
14 bit more carefully to see, is there -- it -- it took a
15 while before we ever realized that dust mites and
16 cockroaches were allergenic and -- and worsened asthma.

17 So might there be something else involved with
18 carrying diseases besides, you know, bites and rashes,
19 that bed bugs would be even more -- of more importance,
20 but I -- I think that maybe just kind of studying that a
21 little bit more is certainly one area, but then studying
22 in general the -- more of the relationships of -- and --
23 and more of the epidemiology with some of these diseases
24 that we're really looking at trying to --

25 MS. FERENC: Yeah.

1 UNIDENTIFIED MALE: -- figure out.

2 MS. FERENC: And actually one of the items on
3 our list there that we have not really quite tackled is
4 the development of performance measures for public
5 health, and I think it -- that would be very valuable for
6 all of us to have -- to make some advances on that
7 particular item. Okay.

8 MR. BRADBURY: Okay.

9 MS. FERENC: We'll turn it over to Rose.

10 MS. KYPRIANOU: Okay. Hello, everyone. I'd
11 like to bring your attention first to this handout with
12 the yellow graphic in the center of it. I believe that
13 there are still some on the table for those in the
14 public, if you haven't been able to get a copy of it,
15 hopefully it's somewhere in the packet that you all have
16 on the panel.

17 I -- I had the opportunity to speak with two
18 PPDC work groups yesterday, the comparative-safety
19 statements and the public-health work group. And for
20 those who don't know me, I'm in the field and external
21 affairs' division of OPP and I've been interacting with
22 both of those work groups and talking to the full PPDC
23 for a little over a year now about this particular
24 program.

25 I'll cover four main points, I'll talk a little

1 bit about what the repellency awareness program is, since
2 there are some new people, I wanted to tell you all where
3 we're at, I'll go through some of the comments from
4 yesterday, and -- and then I'll end with some of our
5 needs moving forward.

6 So some of you who are familiar with this
7 program may remember it by the name, and we've referred
8 to it in the past as the repellent mark or repellency
9 graphic. The repellency awareness program is really kind
10 of an evolution of where we want to take this program
11 moving forward, looking towards launching it to the
12 public, giving it kind of a public eye, so hopefully this
13 is the name that you'll be hearing from here on out from
14 us.

15 It's a voluntary program, and it's still under
16 development, you heard today, and it's aimed at raising
17 public awareness of health protectiveness of skin-applied
18 insect repellent. The basic idea is very similar to what
19 SPF does for sunscreen products, in that there would be a
20 standardized graphic placed on the label of insect
21 repellent and it would express the repellency time of
22 mosquitoes and/or ticks, so we're really honing in on the
23 vectors of -- vectors of disease. So with that, I will
24 stop in terms of a -- a background and -- and let folks
25 read the handout if they want to get any more information

1 on it.

2 Where we're at right now is in the past over the
3 winter we gave the two PPDC work groups the draft
4 guidance, and it was also distributed to some other
5 stakeholder groups. We've also vetted the -- both the
6 concept and the criteria of this program through a
7 scientific advisory panel last March, so we're preparing
8 to announce the program broadly to the public later this
9 summer and we plan to solicit feedback from the public on
10 the utility of the graphs, so we want to make sure that
11 it's meeting the needs that we think it's needing. We've
12 done consumer research in the past, so we really think
13 we're on the right path, but we -- we want to make sure
14 that -- that everybody is liking it before we -- we go
15 full on with it.

16 So I'll talk a little bit now about what went on
17 in work group discussion and also this will give a better
18 idea of -- of, for those of you who are not very familiar
19 with the program, what it all entails. First of all, one
20 of the topics that kind of the discussion rallied around
21 is will there be participation. There was concern that
22 -- that companies with currently-registered products may
23 not want to participate, because new data may be needed
24 or their hourly claims may be reduced because of how we
25 are standardizing the data-evaluation process.

1 Now, on the flip side there was also concern
2 that not to have new data would diversely affect the
3 ability for the graphic to relay both reliable and
4 consistent information. So, obviously, OPP wants the
5 program to work, they want -- we want companies to come
6 in to apply to put this on their products, the issue with
7 the data is that existing -- not all existing data will
8 support the type of claims that we want to be putting
9 into the graphic.

10 So, for example, data may follow significantly
11 different testing protocols from -- data from the past
12 may have significantly different testing protocols than
13 -- than studies that have been submitted more recently
14 and that aren't according to current guidelines, and so
15 there's a disparity on the type of data we've gotten in.

16 Another example of differences is that some of
17 the existing data provided may not have enough
18 information to inform the pest claim, this would be the
19 case where for the claim in the repellency graphic we're
20 going to be asking for multiple tick species to be
21 tested. Some of the currently-registered products don't
22 have the multiple species that we need, so it's not that
23 the information wasn't good that was submitted, it just
24 wasn't appropriate for this particular set of information
25 that we wanted relayed to the public. So we're hoping

1 that companies see the benefits, including the graphics,
2 on their product labels and that consumer demand will
3 also grow, and this will help to outweigh the burdens
4 that may be associated with adding the label -- adding
5 the graphic to the label.

6 Another area of -- of discussion that comes up
7 every time is whether or not we will be including stiffer
8 exemptions, or otherwise known as 25(b) products, in this
9 program. We received many comments on this topic and
10 they all pretty much rallied around the same point, which
11 is that 25(b) products should have the same data on the
12 same standards that the -- the registered products should
13 have if they're going to participate, so at this time we
14 intend to move forward with the voluntary program for
15 registrants of new and existing skin-applied insect
16 repellent products that are subject to FIFRA. So if
17 24(b)s wish to participate, we will encourage them to
18 become registered products.

19 Although not anticipated, if a 25(b) company
20 wishes to keep its exemptive status, we will encourage
21 them to come in to discuss an alternative way forward.
22 But given that we would require pretty much the set of
23 data that we would need to register the products, we
24 really don't see a reason to not go forward with
25 registering them.

1 Finally, there were a number of questions and
2 comments about outreach to the public, what we plan to do
3 for that in the -- in the coming months and years. And
4 I'll just say we're -- we are definitely planning a
5 strong public outreach campaign on the program, starting
6 with web and moving on to other communications' media
7 into the future.

8 One area of our focus will be with recognition
9 of the graphics, another area will be to message the
10 public on how to use the graphic, and -- and issues about
11 surrounding variability as well, the -- the facts that --
12 many factors can effect whether repellent works in the
13 time listed. Kind of the idea that the number is not an
14 absolute, it's -- it's a very good reference and guide to
15 help you protect yourself from vectors as it was used.

16 One of the things I'll just point out is if you
17 take a look at the handout, you'll see that we're --
18 we're even trying to add messages around the graphic
19 itself. The idea that we want to convey is that using
20 the information in this graphic can help you avoid bites
21 and that we really would like this public to -- to pay
22 attention to applying the repellent correctly to get the
23 best results.

24 So with that I'll conclude and with a few of the
25 needs that we have moving forward, since I have the

1 opportunities to do so. First and foremost we're looking
2 to our collaborators in the public health sector and
3 other sectors to -- to show support for this initiative.
4 One -- one way you can do that is by showing your support
5 when we release the program to the public, there will be
6 an opportunity to comment. And for those of you who wish
7 to offer something other than support, we -- we will be
8 more than happy to receive your feedback as well.

9 We need participants in industry to come forward
10 to do this with us, without industry participants the
11 graphic will never be seen or used in the -- or -- or
12 offer any benefits to the public. We need help in
13 reaching consumers once we know products will be coming
14 out with the graphic on their labels, and finally I -- we
15 really need your -- your continued feedback.

16 I thank you for the input that we've already
17 received through you and through others, it -- it has
18 helped to make the program what it is today. And with
19 your continued contributions that are -- your continued
20 contributions are what will make this program have a long
21 and sustainable future and a positive impact on public
22 health, so, thanks.

23 MR. BRADBURY: Okay. Take some questions or
24 comments. Steve?

25 MR. SMITH: Rose, you asked for support or

1 feedback, I'm -- I'm going to give you both. So SC
2 Johnson is a consumer-products' company, of course
3 supports any initiative that clarifies labels for
4 consumers. But we do have the same concerns that you've
5 raised about the test methods, so we look forward to
6 working with you to clarify the requirements in testing
7 for this mark and we're happy to participate in any way
8 we can.

9 MR. BRADBURY: Any other comments? Cynthia and
10 then Beth.

11 MS. PALMER: I'm just wondering if a company
12 tests the product, and it doesn't do so well, and it
13 decides no to publish that information, will that -- will
14 those findings still be publically available, like if it
15 gets a zero for ticks?

16 MS. KYPRIANOU: Well, I -- I don't think that
17 they would probably apply to -- to get the graphic if --
18 if it was a zero, so probably the -- because it's a
19 voluntary program, if it's -- they're not going to have a
20 -- a claim based on the information that we would --
21 would want from them, then my guess is that they would
22 never apply for it.

23 MS. PALMER: Okay.

24 MS. KYPRIANOU: Also -- also, we would -- we
25 would re-examine the claims on the label, because the

1 claims on the label are supported by efficacy data for
2 public health pesticides. So if we got efficacy data in
3 showing that it didn't work and it was a valid study and
4 all that, we would have to re-examine the claims on the
5 label.

6 MR. BRADBURY: Beth?

7 MS. LAW: I think the -- the effort has a -- a
8 commendable goal and, you know, we, the FDA, will, as
9 always, are definitely willing to provide input to -- to
10 EPA concerning our -- you know, our -- our concerns, as
11 well as our -- our -- our support. I think the
12 discussion in the work group yesterday indicated that
13 there are -- there are concerns with the data-testing
14 method and just with, you know, variabilities. So, you
15 know, you said you'd like to have ongoing comments, so we
16 will take that up -- take you up on that, on that offer.
17 Thank you.

18 MS. KYPRIANOU: All right.

19 MR. BRADBURY: Any other comments or questions?
20 Okay. Thanks, Rose, Susan, Lois, and comments and input
21 going forward. And as Rose indicated, we'll be moving
22 forward by taking comments and -- and looking forward to
23 parties that -- that may want to help push this forward
24 and -- and see how it goes, but taking the input as -- as
25 we go forward.

1 Okay. So move into the last session, which is
2 mostly just sort of -- a little bit of touching base on
3 -- on what we accomplished through the work groups and
4 discussions here over the last day or couple days, kind
5 of highlight next steps that would come out from our --
6 our discussion, and then spend a little time hearing from
7 all of you if there's specific topics you'd like to -- to
8 see on the agenda. And we don't decide, but we kind of
9 get the list going and -- and maybe chat a little bit
10 about it. And then Margie does magical stuff, and we
11 reach out to all of you, and we come up with an agenda
12 for -- for the next time, it is sort of magical.

13 So just sort of going back through our --
14 through what we -- what we worked on, I'll -- I -- I
15 guarantee you when we come back next time we'll -- Marty
16 will give you an update of where we are on -- on the
17 budget and -- and how that's all playing out, because
18 it's -- that's very dynamic and you are all picking up
19 some of the things we're talking about, things to do,
20 there's a dollar and a time unit associated with every
21 one of them and every choice we make. They've always
22 been careful choices, but now it's a -- really a zero-sum
23 game, and so you'll get a -- you'll get the feedback from
24 Marty and you may see how some of that's starting to
25 ripple into some of the activities we -- we can take on.

1 Endangered species, we'll be at a -- we'll --
2 we'll be down past the -- Rick, and Don, who couldn't
3 make it, and Paul, and Cheryl, and Helen talked about
4 yesterday, so we'll definitely be giving you a status
5 report. And depending upon where we are on different
6 issues, papers coming out, we may be close to -- I can't
7 remember the exact timeline, but close to or within
8 periods of time you may be having things out for public
9 comments and -- and there may be some opportunity to
10 actually zero in on a few components, depending upon
11 exactly where we are and what the topics are that are
12 starting to heat up.

13 Having said that, if there's some specific
14 aspects of the endangered-species implementation, we'd
15 like to make sure we weave in this over the course of the
16 next month, few months. You can shoot e-mails to -- to
17 Margie, and we can kind of weave in any specific updates
18 along with getting you progress and getting feedback from
19 you on that.

20 Integrated pest management, I know that was --
21 got a little confused in -- in the conversation and I did
22 my best to try to synthesize what it is going to be going
23 forward as a major task. So just to clarify the metrics,
24 how to -- how to measure whether or not a -- a district
25 is starting to make progress in implementing school IPM

1 we talked about, and, Frank, I'll turn it over to you.

2 MR. ELLIS: We're going to pass these around and
3 Allison's going to also pull it up. You can see it on
4 the screen here, it's some work group recommendations.
5 Dave Tamayo, the -- is going to do the report out for the
6 group, because Steve asked yesterday that we do a little
7 clarification work. So most of the folks that were here
8 grabbed a muffin outside, and came upstairs, and met with
9 us at lunchtime today, and -- and dedicated their lunch
10 hour towards this effort, so we appreciate that. And
11 I'll turn it over to Dave to kind of walk us through our
12 -- our clarifying efforts.

13 MR. TAMAYO: Well, this piece of paper here
14 really just -- the -- the first half of it really pretty
15 much just puts down in writing what I presented yesterday
16 verbally. And just to reiterate, the -- the main concept
17 is that the recommendation of our work group to -- which
18 we hope will be adopted by PPDC is that EPA implement a
19 school IPM pilot project working with -- working in a --
20 a -- a few targeted states to help bump up the level of
21 -- of school IPM implementation. And then the rest of
22 this really just talks about, you know, a -- a few of the
23 work products that we envision coming up with in -- in
24 the process of doing that, and then it sort of outlines
25 the -- actually, a fairly-aggressive work plan to start

1 moving in that direction.

2 So I think there were some concerns about, you
3 know, whether we were following our charge, and I just
4 wanted to clarify. And that -- this isn't so much put in
5 here, but -- but we're -- we've -- we've done the -- the
6 -- the first part of the charge and identified metrics
7 for implementation in school IPM, and we're really at a
8 stage where -- let's -- and we've -- EPA has hired staff,
9 established the center in Dallas, and we're really kind
10 of at the stage where, let's start using the things that
11 we have gathered and using the things that -- that are
12 already out there that have been created by NGOs, by
13 states, by universities, by school IPM programs,
14 consolidate those, and use those resources to -- to help
15 -- have EPA use those resources to start moving the ball
16 forward in -- in -- in some other states and seeing what
17 we -- what they can do on a national basis to really move
18 this whole -- whole concept forward.

19 So, and I don't -- I don't know if you want -- I
20 don't think that it's really necessary for me to read
21 through the things that are here -- here before you on --
22 on this, but the other -- one of the things is that we'd
23 like the -- the -- the recommendation is -- is to do it
24 and it sort of creates -- we're proposing that there's a
25 different role for the work group to have now, and that's

1 to advise the ongoing implementation of this, and not so
2 much having it be, well, the work group will work on some
3 things and the come to PPDC and say, hey, is this okay.

4 What we're asking is, you know, is to adopt the
5 recommendation of -- we move forward and then convening
6 some sort of advisory group -- that EPA would convene an
7 -- an advisory group that would just help them really
8 shape what that implementation is going to be like. That
9 doesn't mean there won't be reporting -- wouldn't be
10 reporting back and plenty of opportunity for the whole
11 PPDC to -- to comment on things, but it's just -- it
12 doesn't seem very workable to -- to just have it be that
13 every step that EPA takes needs to step back and get --
14 get feedback before they can move forward.

15 MR. BRADBURY: Okay. Dave laid it out to the
16 whole committee, I think this does -- this is good and it
17 tracks sort of what I was thinking, and thank you for
18 putting it in words. Just to -- to clarify, we probably
19 -- we would use -- as an advisory group, we'd use the
20 PPDC IPM work group as the advisory group, A, because
21 it's done under our FACA, so we can take advice from our
22 federal advisory committee.

23 And as I said, the first day, as long as it got
24 some -- at least one, I guess, permanent member of the
25 PPDC on any work group, the membership on a work group

1 can be -- is beyond the PPDC, so it's a way to reach out
2 to other partners that are working in the area. And
3 having it under our FACA, then it makes it good, legal,
4 proper. So open it up to the -- to the full group.
5 Susan?

6 MS. FERENC: I just have a quick question. I --
7 I need the time -- you know, they're such a good group,
8 and they've got lots of input, and, you know, we can't
9 even -- the rest of us who aren't working on that can't
10 even really keep up with how much they're doing, so -- so
11 I -- I'm personally comfortable that we can defer to
12 them, you know, rather than coming back to us all the
13 time.

14 But -- but the one thing I'd ask is that if you
15 don't -- if you decide not to follow through on a
16 recommendation coming out of -- of the group -- the work
17 group, that you would let the full PPDC know why you
18 didn't do that, so that we've got at least some way to --
19 to just be sort of seeing how the recommendations from
20 the advisory body are actually taken up by the agency.

21 MR. BRADBURY: I would -- I'd say that every
22 single meeting we'll make sure it's on the agenda. And
23 it may be -- sometimes it may be short, here's where we
24 are on implementation, the advisory group suggested that
25 we do bang, bang, bang, we're in various stages of

1 implementing it, you haven't gone far enough, you have to
2 find out if it worked or not, to maybe some sessions that
3 may be more in-depth, because we were hitting some
4 options and -- and we want to share with you what some of
5 those options are like, or what -- what worked, what
6 didn't work. So I -- I conform that every single meeting
7 it will at be at least an update, and sometimes it may be
8 more in-depth based on where we're at.

9 UNIDENTIFIED FEMALE: Just a quick question if
10 whether the school IPM program is being defined broadly
11 to include childcare centers as well, or it's just more
12 specifically focused on schools?

13 MR. TAMAYO: Right now we're focusing our
14 efforts strictly on schools, but we do -- we have
15 received that comment a lot from our internal EPA folks,
16 as well as lots of partners and stakeholders, and it's
17 something we have our eye on kind of down the road. We
18 want to get schools were we think they need to be and
19 where our program needs to be, and then we'll look to
20 broaden out towards these other areas that are -- have a
21 lot of similarities.

22 MR. BRADBURY: Ray?

23 MR. MCALLISTER: It's late in the day, late in
24 the meeting, our ranks are depleted, and on -- on the
25 surface, to me personally, it looks like a good idea.

1 But I represent a larger constituency, maybe they have an
2 interest in how this comes out, maybe they don't, and I'm
3 saying it in this meeting for the first time.

4 Perhaps some of those who do have a strong --
5 even a stronger interest than I do aren't here to comment
6 at this stage, so what I'm trying to get to is -- is
7 perhaps there can be a couple of weeks for PPDC members
8 to respond to this after having a chance to consult with
9 its constituency. And I can't see anything on the
10 surface that would -- that would detract from it, but
11 then I don't see the whole picture either.

12 MR. BRADBURY: Well, that would be fine if -- if
13 members wanted to submit some ideas. Having said that,
14 the IPM school strategy -- EPA's IPM school strategy and
15 implementation plan has been on the web for a couple of
16 years now, so it's happening, it's moving forward, we've
17 made the investments. So I would suggest -- I'm -- I'm
18 really looking forward to comments on how to help improve
19 the ways in which we can get advice through the work
20 group, as opposed to, are you going to do it or not,
21 because it's already happening.

22 And so to the extent this work group can provide
23 us good, timely input and help make sure -- the networks
24 to all the various practitioners that are out there, to
25 make sure we're getting the biggest bang for our

1 collective buck is what we want to do. So I really look
2 forward if there's additional augmentation of how to make
3 this work well, that would be -- that would be very
4 helpful, I'm sure the work group would appreciate --
5 appreciate that. So comments in terms of moving forward
6 would be -- be very helpful.

7 Thanks, Ray. Okay. So we will have a --
8 definitely get a report out the next PPDC. And -- and as
9 Dave's indicated on behalf of the group, there's some
10 aggressive steps that are going to be taken and that's
11 good. The comparative safety group and -- and the group
12 you just heard from, we'll see sort of how developments
13 go, either written or maybe short verbal updates, I would
14 imagine. We'll especially be reporting back on the
15 repellency mark, and we could be in a very interesting
16 phase of -- of where we are in -- in steps going forward
17 there.

18 I don't know, the pollinator protection -- we'll
19 definitely have quite a bit on pollinator protection and,
20 you know, the work group's got a lot going. And I -- I
21 just know for sure we'll have another probably round as
22 -- of activities we can take on and maybe circle back
23 around to all of you, but just making -- just letting you
24 know there will be a good chunk of time on the agenda
25 next time. And with that, probably some updates on

1 things like endocrine disruption and things like that.

2 So now I'll open it up to all of you, again with
3 the idea we want to try to use this session less on us
4 being talking heads, to the extent possible, and more in
5 hearing from the work groups and -- and talking about
6 recommendations for next steps. Gabriele and then
7 Cynthia.

8 MS. LUDWIG: I wasn't -- I'm not so much
9 thinking about work groups, I'm thinking more about
10 discussion topics in general for PPDC. So we're sort of,
11 what, a third of the way getting to half of the way into
12 registration review, and there seems to be some changes
13 or some new risk assessment ideas coming out fairly --
14 for those of us who were around for re-registration. So
15 whether it's in this whole core pureafos (phonetic,) air
16 quality, volatilizaton risk assessment, which was
17 completely new -- I mean, the science wasn't new from a
18 -- for those of us who saw fumigants, instead of be
19 applied to a traditional pesticide was, like, what?

20 So -- and then on -- on -- on the water quality,
21 I'm hearing rumors for -- both for drinking -- bottled
22 drinking water seeing assessment, again, I'm just hearing
23 rumors. I, again, have come back to what I said when I
24 first joined the PPDC, is that I would like to hear about
25 things that are really getting into some of those

1 fundamental risk-assessment decisions that go on here.

2 I heard today on the -- on the endocrine
3 disruptor, I really appreciate it, because it was a --
4 much more in-depth information and it was an opportunity
5 for some real feedback on some things that, you know,
6 help clarify and -- and say, hey, have you thought about
7 this?

8 So I just come back to, you know, it's nice that
9 we have a work group providing these updates and so
10 forth, but there's some really substantive changes going
11 on in how you're doing your risk assessments that I don't
12 feel like have come back to this committee in the last
13 two-and-a-half years at least, so just putting that on
14 the agenda. Okay. And -- and -- and it may be that you
15 need to do some separate meetings, and this may be a
16 point of sort of asking for how do we do that, I don't
17 know how best to organize it.

18 MR. BRADBURY: Cynthia and then Ray.

19 MS. PALMER: For the next meeting I'm hoping
20 that we can broaden somewhat the focus of the pollinator
21 discussions. They have been useful, focusing on RT-25s,
22 and enforcement, and BMP -- BMPs, and so forth, but
23 that's just a small subset of the issues. So I'm hoping
24 we can put on the table a broader discussion of EPA's
25 work on systemic insecticides, and the discussion could

1 include everything from seed treatment affecting birds
2 and bees and other pollinators, to water monitoring, and
3 the whole range of effects of these systemic pesticides
4 that we are moving toward using more and more.

5 MR. BRADBURY: Ray and then Susan.

6 MR. MCALLISTER: Earlier today I was talking
7 with some of my colleagues and we felt it would be very
8 useful for the PPDC to have an -- an understanding of
9 EPA's role and participation in international forums in
10 support of U.S. agriculture. We -- we're aware you do a
11 lot of work with OECD, it's been mentioned a couple of
12 times in the last couple of days.

13 Lois Rossi does a lot of work on harmonizing
14 MRLs, and -- but many of us on the PPDC probably don't
15 have a -- a good understanding of how important that work
16 is and what exactly the agency's role is. And USDA has a
17 strong role there -- there too, because they have the
18 pesticide data program, and IR-4, which have reach into
19 international programs and -- and implications, so I
20 think it would be helpful to have a session on that.

21 MR. BRADBURY: Thanks. Susan and then Tom.

22 MS. FERENC: You -- you can probably guess what
23 I'm going to say, thank you. I know it might be a little
24 premature, because November's coming up as you're
25 finishing off all these SAPs for EDSP, but it would be

1 nice to -- to get just generally a -- a summary of -- of
2 how you're taking the information out of the SAPs and
3 integrating that all together, because it's -- it's such
4 a -- an active program.

5 I mean, what's going to happen in the future is
6 still going to feedback on what's already happening now
7 and -- and -- and it's -- it's integrative, so it would
8 be nice to have just even some sort of short report on --
9 on if there's any changes to the -- to the EDSP policy
10 now, or, you know, that may -- that may actually happen
11 as a result of -- of when you have your cumulative SAP
12 information in hand.

13 And, like I said, it may be too premature,
14 because the final report from the weight of evidence
15 isn't even going to be done until November, but just sort
16 of an -- an update on -- on if you're getting -- as you
17 look at it all, if you're getting anything out of it that
18 might lead you to -- to possibly change some -- some
19 direction for the program.

20 MR. BRADBURY: Okay. Good. Tom and then Beth.

21 MR. GREEN/DELANEY: Let's see, I think you've
22 got three things here. So one is the PestWise program,
23 the pesticide environmental stewardship program, that
24 seems like it spent a decade reinventing itself, and then
25 took itself out, and shot itself or something, it

1 disappeared. We have a current PRIA grant where we
2 committed to enrolling schools in the program, but then
3 we were asked to put that on hold. I think there was an
4 information, data-collection problem with the -- the new
5 concept for PestWise that may put things on hold, but
6 we'd really like to hear where that's at and where that's
7 going next time around.

8 And then this one's from Mark Lane, the American
9 Academy of pediatrics last December put out a -- a report
10 that included some recommendations for governments in
11 terms of policies to reduce children's exposure to
12 pesticides, and I'm wondering if there was any response
13 to that or what you thought of those ideas, that would be
14 nice to -- to hear.

15 And then the third thing that's come up a number
16 of times that's just been nagging me is that I think
17 we're not doing as good a job as we could in terms of
18 communicating to pesticide users. So Gabriele made a
19 comment about labels really don't mean anything, I heard
20 a couple times people say, well, we know people don't
21 read labels. We talked about information going on the
22 web, heard about -- heard a recommendation about focusing
23 on extension in terms of bringing the pollinator BMPs
24 forward, and the information from USDA's survey shows
25 that ag retailers are two waters of magnitude more

1 important in terms of influencing pesticide application
2 by applicators.

3 So I'm not sure exactly how to frame it, but
4 just do we -- are we really on top of the science in
5 communicating BMPs and other critical information to
6 pesticide users? We've sort of got some shortcoming
7 there that should be addressed if we are really focused
8 on what we've learned and what new science has come into
9 the universe about accomplishing that task, I just wanted
10 to acknowledge it.

11 MR. BRADBURY: Beth and then Steve.

12 MS. LAW: I also want to support Ray's request
13 for international updates. And I think to the topic that
14 he -- he mentioned, I would add your sort of an update on
15 the -- I'll just call it the beyond-the-border initiative
16 with -- that involves no customs, and EPA, and several
17 agencies, sort of rewrite your -- your -- your -- the
18 basic regulations that govern movement of pesticides
19 across the border. Also, the -- the RCC, the regulatory
20 cooperation counsel, the work plan, and any -- any new
21 reports you might have regarding that.

22 And the other thing that -- that we've talked
23 about a lot is just whether or not there -- and I think
24 Ray mentioned OECD, but if there are any efforts underway
25 to not only adopt, you know, the OECD dossier approach in

1 -- so that we can -- can submit chemicals and pesticides,
2 you know, much more easily with Europe. But if there's
3 an effort to do that with other countries, we'd be most
4 interested in -- in hearing about that as well. Thanks.

5 MR. BRADBURY: Steve and then Tom.

6 MR. SMITH: I know these have been covered a
7 little bit, but to -- maybe just to be a little bit more
8 specific, I -- I agree with Ray, that we might be
9 interested in international work, but I would extend it
10 beyond agricultural work to include what OECD in Europe
11 being called biocides, nonagricultural pesticides. I'd
12 be especially interested to see an update of Oscar
13 Morales' (phonetic) very interesting presentation two
14 meetings ago, because I think he was having a meeting
15 since then to see where they are with the electronic
16 submission and the electronic dossiers.

17 There is an OECD dossier template for
18 agricultural pesticides, even microbial agricultural
19 pesticides, but not for nonagricultural pesticides, so
20 I'm wonder if that would be of interest for people in --
21 in the -- in the panel, particularly at the product,
22 because they see from a resource standpoint maybe that's
23 where we can get some leverage and gain some real ground
24 is at -- at the products. Because if you look at PPD,
25 for example, they've got 15,000 products they're going to

1 be looking at in the next 10 years, but only 300 actives,
2 so it may be balanced products versus actives a little
3 bit.

4 MR. BRADBURY: Tom and then Robyn.

5 MR. GREEN/DELANEY: Well, I'd like to hear how
6 EPA deals with epidemiology studies and -- and such, and
7 I know some may -- it's kind of a broad topic, but some,
8 I think, falls in OPP, but then in their other divisions
9 within EPA that deal with epidemiology studies have hit
10 the -- hit the news and then, you know, somebody
11 reviewing those studies and things like that.

12 MR. BRADBURY: Robyn?

13 MS. GILDEN: Insofar as there may be any new
14 developments to report, I would love to hear an update on
15 the worker protection standard and what's going on with
16 those things.

17 MR. BRADBURY: With any luck, we'll have good
18 news.

19 MS. GILDEN: That would be awesome.

20 UNIDENTIFIED MALE: Sort of -- of following up
21 on -- on Gabriele's concern about, you know, some of the
22 water quality issues and then also how risk assessments
23 are -- are done. And I -- I think you realize that we're
24 -- you know, from an urban storm water perspective we've
25 been concerned about some gaps, and how -- how risk

1 assessments and other -- other regulatory actions are --
2 are accomplished, and -- and the need to sort of address
3 those gaps and better evaluate how pesticides can impact
4 urban water -- urban water bodies, and then also drinking
5 water sources.

6 And, you know, I -- I was going to be speaking
7 to you when you're outside of the meeting about that, but
8 I'd like to see if there's some sort of a -- if -- if
9 there would be an opportunity to sort of address some of
10 the changes that at least we think need to be made. And
11 I think the agency also recognizes some of the changes
12 that need to be made and there's some issues you have to
13 deal with, because it -- it would be great if we could
14 touch on that and -- and get people's feedback on, you
15 know, a way forward to -- to improve how that -- all
16 that's done.

17 UNIDENTIFIED FEMALE: A few of the voluntary
18 programs that you're opening up now are things that the
19 PPDC has dealt with through the work groups, or whatever,
20 for years, and maybe you could work into the -- these
21 meetings just a quick update on which of those voluntary
22 programs are moving forward, are they meeting your
23 expectations, have you gotten any feedback for why people
24 aren't stepping up to the plate, because there's the DRT,
25 there will be the repellency mark, there's the web-

1 distributed labeling, all those things are kind of
2 ongoing, voluntary programs, some open, some not.

3 So -- so if we could just kind of get a sense,
4 there's really no other way to get feedback on -- on how
5 those programs are -- are progress or not progressing,
6 and if there's something that -- that we can do to -- to
7 help.

8 MR. BRADBURY: Thanks, good -- good suggestions.
9 So as typical meeting, the list gets long, and that's
10 good, and -- and I hear a combination of us reporting out
11 with feedback coming in. So Margie took good notes, I
12 took not-so-good notes, but we'll combine them and we'll
13 probably get back to some of you that -- that provided
14 some suggestions and try to zoom in a little bit more,
15 and so some of them may -- we may play them out in terms
16 of just some written material, give you some background,
17 and maybe set up -- well, if you've done some years, I
18 know a 20-minute chunk of time where we say, okay, here's
19 your three topics, we gave you a written backdrop, you
20 know, we can do a couple of clarifying questions.

21 Some are obviously more in-depth, for example,
22 the registration review and water quality. As an
23 example, registration review and ensuring that our re-
24 evaluation decisions are hitting the mark for water
25 qualities and objectives. And there may be a combination

1 there in terms of explaining what we're trying to do, and
2 then giving feedback to you all that when we open up
3 these dockets we're not hearing -- sometimes we're not
4 hearing anything, but we know there's something going on.

5 So there may be some dialogue about what do we
6 need to do to better get information coming in to help us
7 do it, so we'll take a look at some of these that -- some
8 may be a combination of reporting out, but also maybe
9 zoom in on a couple of subtopics where we want to get
10 some -- some back and forth, and we may lean on some of
11 you to help make that session go so it's -- it's not just
12 a bunch of talking heads, we actually get some -- some
13 feedback.

14 Some topics may be more in the science-advisory-
15 panel world, sort of more the hardcore -- harder --
16 harder core on the science side, so those may be a
17 combination of some background information and -- and
18 some reason pointing you to things that are ongoing and
19 -- and may be a window at time to see some clarifying
20 questions.

21 So Margie and I will kind of try to synthesize,
22 we may be calling some of you back just to kind of zoom
23 in a little bit tighter. I think we usually then try to
24 send evolving concepts out to all of you, so you can --
25 you can weigh in. And as we get closer to the dates that

1 Margie will share with you, we'll -- we'll -- we'll hone
2 it up in terms of what's going to be on the agenda and
3 how we'll execute it. Well, I'll turn it over to Margie
4 to let you know the time frame for the next meeting.

5 MS. FEHRENBACH: Okay. Well, we're looking at
6 November and there are a limited number of days that this
7 room's available. But at this point, November 7th and
8 8th appear to be pretty available. But if you could let
9 me know generally your -- any time frame that maybe
10 wouldn't work in November, that would be helpful and we
11 will avoid Thanksgiving.

12 MR. BRADBURY: Okay.

13 UNIDENTIFIED FEMALE: Just the MBAO conference
14 is in San Diego, I can't remember, November 6th and
15 November 7th, and then around that, November 7th, Korea
16 has asked for people to come and talk about MRLs, so for
17 those of us who work on international trade issues it may
18 be not a good day.

19 MS. FEHRENBACH: Okay. If you could send me the
20 specifics, and that way we'll try to work with --

21 UNIDENTIFIED FEMALE: Well, it --

22 MS. FEHRENBACH: -- the dates.

23 UNIDENTIFIED FEMALE: -- would have the Korea
24 stuff.

25 MS. FEHRENBACH: Okay.

1 MR. BRADBURY: Okay. Any others? So let Margie
2 know if -- but soon, because it's amazing -- for a while
3 when we were in Potomac Yards, nobody knew we were here
4 and we could -- we could get free reign over the place,
5 along with a couple other parts of EPA. Now people have
6 started to discover this location and it's an EPA-wide
7 facility, so anybody in EPA can use it.

8 And then the good news is the federal government
9 is saying, unless you've got a really good reason you
10 should be using federal facilities to have meetings
11 technically. So that means this place becomes even more
12 popular than it -- than it was before, so that's why
13 Margie's putting out -- these windows of time are now a
14 little more challenging than they were back in 2008 and
15 '09 when we were just stating to go in this place.

16 So it may be, like happened this time, that some
17 permanent members just couldn't make it. Mark Lane had
18 to take a bunch of students from Indiana University to --
19 to London for part of their, you know, training, and so
20 he couldn't be here, but he managed to get Tom Green to
21 be his -- his proxy, so -- yeah, but he said to stay
22 here.

23 So it may be that we may not be able to get 100
24 percent of you to -- to line up, and then I ask you to --
25 to work for somebody that might be able to sit -- sit in

1 their chair during that time, because usually it gets
2 really hard. But we would -- do want to know if there's
3 something that's going to -- a couple or three things
4 that would just wipe that window of time out, and we'd
5 definitely have to be a group and -- and look for
6 something else.

7 MS. FEHRENBACH: Early December too, let me know
8 about those dates.

9 MR. BRADBURY: All right. Any public comments?

10 MS. FEHRENBACH: I don't hear any.

11 MR. BRADBURY: Okay. No, we don't have anybody
12 for public comment, so I want to -- let me just check
13 that I didn't -- I didn't forget anything. So I want to
14 thank you all for a very good meeting. And all the new
15 members, welcome and looking forward to -- to your input
16 and contributions as we go forward.

17 Stay in -- Margie will be in touch, and we'll be
18 working towards setting up the -- the next agenda. And
19 good input, I know the work groups have a lot going on
20 already. Okay. And the letters of invitation are in the
21 mail. You're all legal, it's just -- don't ask.

22 And -- and before we close, I also want to use
23 this opportunity again to thank Margie for all her work
24 in -- in planning and executing everything. All right.
25 Everybody have safe travels home and we'll see you again

1 before you know it.

2 (Whereupon, the meeting was
3 concluded.)

4 - - - - -

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE OF TRANSCRIBER

2

3 I, Connie M. Leonatti, do hereby certify that

4 the foregoing proceedings were transcribed by me via

5 compact discs provided to me; that I am neither counsel

6 for, related to, nor employed by any of the parties to

7 the action in which these proceedings were transcribed;

8 that I am not a relative or employee of any attorney or

9 counsel employed by the parties hereto, nor financially

10 or otherwise interested in the outcome of the action.

11

12

13

14

15 _____

16 Connie M. Leonatti, Transcriptionist

17

18

19

20

21

22

23

24

25