


US EPA ARCHIVE DOCUMENT

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PUBLIC MEETING
PEOPLES NATURAL GAS
SUPERFUND SITE
DUBUQUE, IOWA
EPA REGION 7
JULY 8, 2013.



Renee J Fokken



1 (Whereupon, the following proceedings were
2 had, to-wit:)

3 MR. WASHBURN: We'll go ahead and get
4 started. First of all, thank you guys for coming
5 tonight. It's really nice out. I'm sure there's
6 other places you'd rather be, but thank you.

7 I'm Ben Washburn, community involvement
8 coordinator for the Peoples Natural Gas Site. I'm
9 here tonight with Diana Engeman who's the project
10 manager and Bob Richards who is the site attorney.
11 So we have a couple people here who know what's
12 happening with the site.

13 Tonight we're here to talk about the
14 proposed plan for the site, really just take some
15 public comments, public input. The public comment
16 period will be open until July 25.

17 So with that I'll turn it over and let
18 Diana talk about the site.

19 MS. ENGEMAN: And I think many of you
20 are aware, but we do have a court reporter here
21 because we are taking public comments, and so we
22 want to make sure that we have a accurate record of
23 what's transpired. If you ask a question, she is
24 likely to ask you to give her your name so be
25 prepared for that.

1 Okay. So we're here to talk about the
2 Peoples Natural Gas site. The topics that we're
3 going to cover are a little bit about the Superfund
4 process for those who may not be familiar with it, a
5 little bit of site history, and there's a lot of
6 history on this site. There's some people in this
7 room that probably know way more of the site history
8 than I even know, so I'll give you just a little
9 piece of it. We'll talk about this particular
10 proposed plan. We'll describe the alternatives that
11 we considered and the alternatives that we have
12 selected. We'll talk about some future actions of
13 the site and then some information about the public
14 comment period.

15 Okay. The Peoples Natural Gas Site is a
16 Superfund site. So what is Superfund? It was a law
17 passed in 1980 when there became abandoned hazardous
18 waste sites in the United States. There wasn't any
19 particular body of law made to get them cleaned up
20 or to pay for the clean up of them. So congress
21 enacted this law that has a very long name that's up
22 there, Comprehensive Environmental Response,
23 Compensation, and Liability Act, which we normally
24 call Superfund. It got that nickname because of one
25 of the provisions under that law. They gave us the

1 authority to clean up sites and also establish a
2 trust fund commonly called Superfund to pay for
3 clean ups.

4 And in the situation where there are no
5 parties that are legally responsible for the site
6 and there's conditions laid out in the law that say
7 what the responsible parties may be, then we can tap
8 into this fund to clean up the site. The fund was
9 created by a tax on the chemical petroleum industry.
10 The tax has expired. Congress has not reenstated
11 the tax so it now comes out of revenue.

12 In the case of this site, though, we have
13 responsible parties. They are not only doing the
14 work at the site, they pay for EPA's oversight of
15 their activities at this site.

16 The goals of Superfund are to protect
17 human health and the environment. One of the goals
18 is to involve the community in the clean-up process,
19 and that's part of why we're having this public
20 meeting tonight. Then ultimately we'd like to
21 return previously polluted land back in to some type
22 of productive use. That doesn't mean that it might
23 not be somewhat limited because of what might be
24 remaining, but there's lots of uses that can -- can
25 take place even when there are restrictions.

1 Okay. So as part of the process, the
2 first is to investigate what we have at the site:
3 What's contaminated; is it soil; is it ground water;
4 is it surface water; is it air? One of the steps
5 that falls into that is if they are polluted, do
6 they pose any risk to anybody or to the environment?
7 Once we know that information, then we can develop
8 alternatives for cleaning up the site. Ultimately
9 after all of that's done, EPA selects a preferred
10 alternative, and we publish it in a proposed plan,
11 and it goes out for public comment. We're required
12 to give the public a 30-day public comment period,
13 then we can get oral or written comments on that
14 proposed plan.

15 Ultimately we will select a remedy in a
16 document called a record of decision after we
17 consider the public comments. And in fact we'll say
18 a little more about that on the next slide, that
19 record of decision which we call -- we tend to call
20 it ROD to give it a short name. It includes all the
21 public comments and our responses to the comments.

22 Sometimes there's no change in the
23 preferred alternative. The remedy we select is the
24 one that was in the proposed plan. Sometimes there
25 are changes that maybe doesn't entirely change, but

1 it does change somewhat based on public comments and
2 sometimes we have to come back out and propose
3 something entirely different after we receive the
4 public comments. All of those situations have
5 happened on sites in our region. The ROD provides a
6 little more site history than the proposed plan, and
7 it also provides all the facts hopefully to support
8 our selective remedy.

9 Now, at this site, at the Peoples Natural
10 Gas Site, we already selected a remedy back in 1991.
11 So we went through all those steps, we selected a
12 remedy, and what we are doing now with this proposed
13 plan, we're going to amend that remedy. I'll
14 explain more as I get into the details of the site,
15 why we're doing that.

16 I suspect that a good many of you here
17 already know where the area is we're talking about,
18 but it's this area down by Kerper Boulevard which is
19 running along the top of the slide and down under
20 kind of this corner of Highway 61. So it kind of
21 encompasses this piece of property where the city
22 used to operate the public works garage but does not
23 any longer, and it runs over -- sort of under where
24 part of Highway 61 is.

25 I believe the site was actually found when

1 they did some of the initial borings for that
2 construction, that new part of Highway 61. The site
3 was the location of what's called a former
4 manufactured gas plant that operated from the 1930s
5 to about 1954. That was a method of taking coal or
6 oil, heating it, and turning it into gas that could
7 be used for lighting, cooking. When you hear of the
8 old gaslights that were street lights in a lot of
9 communities, that would have been gas from a plant
10 like this. And to have one of these in your
11 community was a sign that you were kind of
12 progressive and you now had piped-in lighting and
13 heating for your home.

14 When natural gas pipeline came to this
15 part of the country, these manufactured gas plants
16 generally were closed. They operated at a period of
17 time when there wasn't really any sort of regulation
18 or much of an idea about how best to dispose of the
19 waste products from the production of this gas. The
20 state discovered the site about 1983, I believe that
21 was when they were doing the initial borings for the
22 Highway 61 construction, and then EPA became
23 involved in 1986 at the request of the state.

24 In the course of the investigation, it was
25 discovered that there was soil and groundwater

1 contamination due to what's called coal tar it was
2 discovered. Coal tar is kind of a common name for a
3 by-product with the production of this gas. Most
4 people have some familiarity with it because it's
5 kind of -- it's very similar to the stuff that is
6 used as roofing tar, it's very similar to the stuff
7 that's used to seal roads. I have an asphalt
8 driveway, we buy it in buckets every few years and
9 reseal our driveway. It's a fairly complex mixture
10 of some chemicals with very big names called
11 polynuclear aromatic hydrocarbons, we refer to those
12 as PAHs so we don't have to say that big, long name.
13 There's a whole bunch of those compounds that fall
14 in that class. They're very large chemicals,
15 they're fairly complex chemicals, and some of them
16 are very toxic chemicals. They're also several
17 volatile organic chemicals, primarily benzene,
18 toluene, ethylbenzene and xylene which are called
19 BTEX that are found at these sites. Those PAHs are
20 really some of the nasty compounds that are found in
21 cigarettes. The tar from cigarettes is composed of
22 the same compounds.

23 Okay. There is a type of action that can
24 be taken at a Superfund site called removal action.
25 It's usually something that's done when there's a

1 very short-term action needed to come and address a
2 particular problem that you can come in, take care
3 of, be done with and gone in a short period of time.
4 And a removal action was done to address the soil in
5 the area where Highway 61 construction was going to
6 take place. That was done in 1989 to clean up the
7 soil contamination that could be excavated so that
8 that can be done and road construction can begin.
9 The rest of the site was a bit more complicated.

10 So while that was taking place to clean up
11 the Highway 61 area, alternatives were being
12 evaluated to address the remaining soil
13 contamination over in the area where the city's
14 public works garage existed and the groundwater
15 contamination related to the site. So we went
16 through the process that I described before and the
17 record of decision was issued in 1991.

18 That record of decision, a short
19 description of that remedy was that contaminated
20 soil was excavated and it was hauled off site and
21 thermally treated. It was actually blended with
22 coal and burned in a utility boiler. For the
23 contaminated groundwater, there was a system put in
24 that we call usually pump and treat, meaning that
25 there were wells and pumps put in to suck

1 contaminated ground water out of the ground, run it
2 through a treatment system, and then it can be
3 either put back into the ground or into a sanitary
4 sewer or storm sewer. And there was one other
5 component of that which was a system where
6 essentially ozone was blown under the ground and
7 then a vacuum system applied to extract the
8 contaminant vapors that were driven out to try to
9 further get more contamination out of the soil and
10 groundwater.

11 In 2003 a decision was made and approved
12 by EPA that we would shut down the pump-and-treat
13 system and the ozone treatment and the vacuum
14 extraction system because we were never going to get
15 the clean up done that was expected of that remedy.

16 There were a number of reasons why in
17 terms of the pump-and-treat system for cleaning up
18 ground water: There was far more residual
19 contamination that could not be excavated because it
20 was way deeper than it was physically possible to
21 excavate, particularly under water, than was
22 previously known. And the chemistry of the water in
23 that area has got a tremendous amount of iron, it's
24 got other issues related to the contamination that
25 cause the extraction well to foul up sometimes

1 within days of trying to clean it out and get it
2 running again. The extraction well fouled up, the
3 soil around it fouled up, the treatment system
4 fouled up, all the piping fouled up, it just wasn't
5 a workable system. The last component, the ozone
6 treatment vapor extraction, while it did help, it
7 did remove some contamination, it was an extremely
8 expensive system that was removing contamination,
9 but it was never going to be possible to get all of
10 the contamination out. So we decided at that point,
11 we got to relook at this and figure out what we can
12 do different because this isn't working.

13 So over a very lengthy period of time
14 between 2003 and 2012, there was -- it may not
15 appear like it, but there was a considerable amount
16 of work that was done on this site: Various
17 investigations; there were numerous treatment
18 approaches that were tried; there were pilot studies
19 done to see if there was a way that could be found
20 to clean this contamination up. Out of those
21 multiple alternatives that were evaluated, and I'll
22 describe those, they're all -- the ones that had at
23 least some chance of maybe being effective, they
24 were considered or presented in this proposed plan.

25 Now, before I go through all those, I'm

1 going to try to use these diagrams, and maybe I'll
2 move them over closer. It's not a very big crowd.
3 Let's see if I can better explain what's going on
4 here.

5 I'm going to start with this diagram that
6 shows you a conceptual model of what it looks like
7 underground at this site. See this diagram, it
8 shows a red area here. That's approximately where
9 the site is. This is the levy here so Kerper
10 Boulevard would be right in between there. So
11 right -- the good bit of this soil across the site
12 was removed. That shallower soil is gone, pretty
13 much except for underneath where the public works
14 garage sat, and there's a sewer line through there,
15 but a good bit of that soil was dug up and removed.

16 Then we hit this layer that's referred to
17 as upper confining unit which is -- it's a layer of
18 clay and silt, but it's very dense, and
19 contamination doesn't want to move through it quite
20 as well. Then we hit in just a small area that's
21 pretty much just near the site, what we refer to in
22 our report as the silty sand aquifer. That's an
23 area that's got groundwater in this, and that's the
24 one that's very contaminated. Then there happens to
25 be another very thin confining unit of clay that is

1 tending to keep contamination that's up here from
2 getting down into this main body of the aquifer,
3 that will be the top -- the shallowest main water
4 producing aquifer. As you see, when you look at the
5 edge, this upper confining unit actually runs out
6 through this one, and I'm not sure -- it's not
7 exactly showing -- it tends to lip up when it gets
8 too -- over near the Dove Harbor. So this is the
9 area that's got the groundwater that's heavily
10 contaminated. This groundwater for the most part is
11 unaffected.

12 Now, when you look at this diagram of the
13 site, you'll see a couple of things, these colored
14 lines, and I'll point out which is which, show areas
15 where the contamination of a particular contaminant
16 is higher than a certain level. So inside this
17 green circle, the levels of contaminant call
18 naphthalene, that stuff you smell in moth balls.
19 It's one of those PAHs. It's actually the most
20 mobile one. It's the one that can move around the
21 most. It exceeds 100 micrograms per liter.

22 To give you an idea of what 100 micrograms
23 per liter is, it's like a 100 parts in a billion.
24 So 100 micrograms per liter would be 100 little
25 balls of naphthalene in a million balls that don't

1 have naphthalene. The green circle is 5 micrograms
2 per liter of benzene. Anything inside that circle
3 is 5 micrograms per liter or higher of benzene.
4 Naphthalene has a regular -- or benzene has a
5 regulated level in drinking water. It cannot exceed
6 5 micrograms per liter in drinking water for water
7 that's delivered to somebody through the ground.
8 There is not a regulated drinking water level for
9 naphthalene, however, we can calculate a level that
10 would pose a threat to health, but this is done to
11 give you some idea of where the contaminated
12 groundwater is in that layer that I showed you
13 called the silty sand top level. So this kind of
14 shows you that it's mainly on this property there.
15 We'll talk about this other one in just a minute.

16 CHUCK ISENHART: Can I ask a
17 question?

18 MS. ENGEMAN: Sure.

19 CHUCK ISENHART: You talk about no
20 regulated level, is that another way of saying there
21 shouldn't be any?

22 MS. ENGEMAN: No, it's not. There
23 just are not regulated levels for every single
24 chemical that you can ever -- that you could ever
25 detect. There probably are literally -- I know

1 there's literally thousands of chemicals that can be
2 detected, there's not a regulatory level for every
3 single one.

4 CHUCK ISENHART: Is that another way
5 of saying that it's so rarely found in drinking
6 water, it's never been an effort?

7 MS. ENGEMAN: I do not know how those
8 chemicals that are regulated in drinking water are
9 determined which ones were selected. I don't know
10 whether --

11 MR. RICHARDS: Well, I mean -- I'm
12 Bob Richards, the attorney. They have to be based
13 upon science and presented before a board and
14 determined before they're used. And I think, you
15 know -- I'm not a scientist or anything, but there
16 are certain chemicals of this catalog of thousands
17 of chemicals where many are associated with each
18 other. If you have one at a level that requires
19 action, you're going to be addressing the others.

20 MS. ENGEMAN: That is true.
21 Frequently there are more compound than relative
22 than if you get that one for picking it off. I
23 can't tell you for sure exactly why one has it and
24 one doesn't; however, in Superfund actions are taken
25 based on risk, and so we have to comply with

1 regulated levels. We also calculate risk-based
2 levels or those compounds do not have regulatory
3 levels, and we set clean-up levels for those as
4 well. So they don't get overlooked, they just don't
5 have a clean-up level set in law, specific number
6 for a compound.

7 Okay. Now, let's talk a little about the
8 alternatives that got evaluated for this site. We
9 always have to look at no action, that's a
10 requirement set in the law. It's like a point of
11 comparison for everything else. We have to say,
12 okay, we're just not going to do anything and what
13 will that cost? Nothing. What's going to happen if
14 we don't do anything? Well, a lot of bad things are
15 going to happen.

16 The other alternatives -- and I'll explain
17 these in much more detail, institutional controls,
18 and I'll describe those more thoroughly. You'll see
19 that all the rest of these alternatives, the other
20 five, all have institutional controls.
21 Institutional controls are things like ordinances,
22 easements, covenants, deed notices. They're usually
23 notices or use limitations on property or on a
24 resource.

25 The first one has -- first alternative

1 evaluated was institutional controls with additional
2 excavation, so look at going out -- would it be
3 possible to go out and dig up some more stuff, would
4 we access some more stuff somehow, dig it up, treat
5 that, and what would be the effect on particularly
6 this groundwater contamination that was still there.
7 The cost for that by the way was estimated to be
8 about \$2.4 million.

9 The next thing considered were
10 institutional controls with in situ solidification.
11 What that would involve is usually they use augers
12 to auger a cement-like product down into the
13 contaminated area, and it will bind up the
14 contaminated material there. So we looked at that
15 as an alternative. That one came with a price tag
16 of about \$3.7 million.

17 The fourth one was institutional controls
18 with in situ thermal remediation. This instead of
19 digging soil up and thermally treating it somewhere
20 would be leaving the soil in place and trying to
21 heat down below to address the contamination.
22 That's very difficult to do when you're down below
23 the water table when the soil is saturated because
24 you can't get it any higher than the boiling point
25 of water, and unfortunately these contaminants have

1 got very, very high boiling points. They're very
2 hard to address when you can't get any higher than
3 the boiling point of water. That came with a price
4 tag of about \$3.4 million.

5 Next was institutional controls with
6 monitored natural attenuation. What that means is
7 natural attenuation are the biological processes
8 that are naturally occurring that will naturally
9 break things. There are actually conditions down in
10 the soil and in the groundwater that will cause
11 really undesirable compounds to break down naturally
12 through biological processes. If you do that, you
13 want to monitor it to see that it is occurring and
14 that contamination is not spreading while that's
15 taking place.

16 And the last alternative considered was
17 institutional controls with what's called hydraulic
18 containment and monitor natural attenuation.
19 Hydraulic containment is a fancy word for -- fancy
20 way of saying that you would pump something to try
21 and control the movement of contaminants. I'll
22 explain that a little more with a diagram, but
23 before I explain what that hydraulic containment
24 consists of, I want to tell you that the
25 Alternative 5 was about half a million dollars, and

1 the institutional controls with hydraulic
2 containment and MNA was \$1.7 million.

3 Now, here's the problem with every one of
4 these, not one of these alternatives would clean up
5 all that groundwater contamination in a reasonable
6 time frame. So we had to look at what is called --
7 it is laid out in the Superfund law, it's called a
8 technical impracticability waiver. There are times
9 when the site conditions prevent clean up of
10 groundwater in a reasonable time frame, and we
11 pursue what is called a technical impracticability
12 waiver. It is granted for a specific area, not only
13 the area on the top, but the area how far into the
14 groundwater that you're going to waive the
15 requirement to meet all those regulated clean-up
16 levels. However, if we do that, the remedy still
17 must be protected, and that means we have to use
18 some method other than cleaning up all that
19 contamination to prevent exposure to people.

20 So for this site, we have pursued getting
21 technical impracticability waiver for the silty sand
22 aquifer. I'll show you, I think maybe just have one
23 we call the TI zone, but it's on here too. You'll
24 see that the area that we would include in that is
25 this black circle that goes outside of all of those

1 areas that have higher levels of contamination. So
2 what that says is that if we have a technical
3 impracticability waiver inside that line and only in
4 that silty sand aquifer, we would not be able to get
5 it cleaned up to these levels. We would not let
6 anybody in that level of contamination, but in the
7 areas outside of that, the areas down below that
8 silty sand aquifer, that requirement would be met.
9 Maybe someday there will be a way to address that
10 contamination that we can't get out of there, but
11 right now there's not a way to do it.

12 On top of that, actually some of the
13 things that we could try to do, even some of these
14 alternatives that we consider, they actually present
15 a fairly high risk of damaging this very thin layer
16 that is keeping contamination from going deeper, and
17 it is a very thin layer in some places. If I
18 remember correctly, and maybe some here who remember
19 better than I do, I think maybe it's thickest it's
20 4 feet and thinnest it's about 4 inches.

21 Is that in the right neighborhood?

22 KEVIN ARMSTRONG: Yeah, I think so.

23 MS. ENGEMAN: We don't want to damage
24 that, but we don't want this stuff here either.

25 Okay. So the preferred -- the proposed

1 plan does present our preferred alternative and our
2 preferred alternative was the sixth one. The
3 institutional controls -- the institutional controls
4 with hydraulic control and monitored natural
5 attenuation.

6 Now, explain each of those pieces. The
7 institutional controls, there are already some in
8 place on this site, we probably will update those to
9 more current controls based on the more current
10 state law with what are called environmental
11 covenants, and this will be on property that the
12 city owns and actually backed on the property that
13 the Iowa Department of Transportation owns where
14 Highway 61 is.

15 Those are -- environmental covenants are
16 placed on the deeds for the property, they describe
17 the limitations for use which would be things like
18 no wells installed in those areas, no excavation
19 below a certain level, it will be limitations on
20 certain types of construction. There also will be
21 written notices of state, county, and city about the
22 groundwater contamination various entities that may
23 permit wells. It certainly doesn't hurt to provide
24 them with written notice, and we are aware that the
25 city is proposing a new city ordinance to place some

1 limitations on well installation which will be very
2 helpful as well and would prevent anybody from
3 placing a well in a place we don't want it.

4 The hydraulic control would involve
5 putting some extraction wells between Kerper
6 Boulevard and the levee. That's a pretty thin strip
7 of ground there, but these would be some wells that
8 would operate in very, very low level which we
9 either spend time getting testing done that looks
10 like maybe that could be done and capture that
11 leading edge of the groundwater to keep it from ever
12 wanting to move towards Dove Harbor without fouling
13 up the wells immediately like it did in the past.
14 That water would either be discharged through the
15 sanitary sewer for treatment with permit through the
16 city or, if necessary, a treatment system would be
17 built right there at the site.

18 It may be necessary to inject some
19 compounds down near those wells. They're called
20 sequestering agents, but they would help keep those
21 wells from plugging up. There's some compounds that
22 can be injected near those wells that help keep that
23 from happening. So that would capture anything if
24 there was a concern about it moving toward the river
25 which is the direction that that groundwater flows.

1 Monitor natural attenuation on its own
2 really can't even begin to address the amounts of
3 contamination that exist in the groundwater at that
4 site or the residual contamination in the soil, but
5 it is working. That's part of the reason that the
6 area of contamination has really not gotten very
7 big -- much bigger since the 1930s when
8 contamination first got disposed of at the site.
9 That is one of the things that controls how big that
10 area of contamination has gotten.

11 So we want to acknowledge and take
12 advantage of the -- the fact that that is taking
13 place, and there will be monitoring done to ensure
14 that it's continuing to take place, that the
15 conditions underground are favorable and that that
16 area outside the technical impracticability zone is
17 still clean.

18 Okay. So in the future after the public
19 comment period is over and we've received whatever
20 comments we're going to receive, we address those,
21 and whatever changes need to be made will be
22 reflected in a record of decision amendment. We
23 will amend that 1991 record of decision. The hope
24 is that that will be done by the end of September of
25 this year. After we have that amendment or record

1 of decision, then there's got to be plans done, it's
2 called a remedial design. The plans specifications
3 for how to do what we selected, those actions will
4 be spelled out just like they were in the ROD, but
5 it will include the detail of how you construct this
6 thing or how you're going to operate it, how the
7 sampling is going to take place. Once that design
8 is complete, the hydraulic control system will have
9 to be constructed, then it will begin operating, and
10 sampling or monitoring will continue until clean-up
11 goals are achieved.

12 Now, realistically in this site what will
13 happen unless there is some new revelation for how
14 to address the contamination under the ground is
15 there will be sampling and monitoring will go on
16 forever, one of the steps of the process in
17 Superfund that I didn't put in here is that for
18 sites where we don't leave them in any use, where we
19 can just walk away and anybody can do anything they
20 wanted with that property. If we don't leave it in
21 that condition, then it is required by law that
22 there be a 5-year review of that remedy to determine
23 is the remedy working the way it's supposed to, and
24 is that remedy still protective? This site is
25 already in that process and will continue to be in a

1 that process of those reviews as long as the site
2 can't be used for any use -- any possible use
3 anybody can think of.

4 I think Ben said at the beginning the
5 public comment period started June 26, it runs
6 through July the 25th. Those comments will be
7 included in the record of decision amendment.

8 If we get comments tonight, that's why we
9 have the court reporter here, they will all be
10 recorded. We will try to answer questions you have
11 now. If you have a comment on the remedy we can't
12 address or question we can't address, we will try to
13 address that in the record of decision.

14 That's how you can reach either Ben
15 Washburn in our office of public affairs or myself.

16 That's all I have, but I will be glad to
17 answer questions.

18 CHUCK ISENHART: Pay is 1.7 million
19 associated with this action?

20 MS. ENGEMAN: Okay. We have -- there
21 is a consent decree in place on this site that is by
22 four parties with the United States. They are --
23 well, it was Midwest Gas, but it's MidAmerican
24 Energy Company who's here and has been doing work on
25 the site and paying the site bills for a very long

1 time. The other parties to that are the city of
2 Dubuque because they are current property owner of
3 every piece of the site; the Iowa Department of
4 Transportation who is one of the other property
5 owners of Highway 61. The fourth one is Enron
6 Corporation. And Enron I believe bought one of the
7 companies who operated at the time of disposal.
8 They essentially no longer exist, but the entity
9 that's been doing work the whole time is MidAmerican
10 Energy. And really the consent decree that is in
11 place now really covers these actions that are
12 proposed as well.

13 CHUCK ISENHART: MidAmerican paying
14 the bills --

15 MS. ENGEMAN: Yes, they are.

16 CHUCK ISENHART: -- for what's
17 proposed here?

18 MS. ENGEMAN: Yes.

19 CHUCK ISENHART: Would that include
20 any cost the city might incur if water pulled out is
21 put in the sanitary system, or how does that work?

22 MS. ENGEMAN: No. I know that
23 MidAmerican Energy consultants have been
24 communicating with the city in terms of possible
25 disposal to the sanitary sewer system, and I am not

1 sure what they have discussed in terms of how the
2 city may or may not be compensated for it.

3 THE COURT REPORTER: What's your
4 name, sir?

5 CHUCK ISENHART: Chuck Isenhart.

6 THE COURT REPORTER: Can you spell
7 your last name, please.

8 CHUCK ISENHART: I-S-E-N-H-A-R-T.

9 My only other question involves around
10 limitation on uses of the property, theoretically
11 with this action in place, but future uses, will the
12 property be viable?

13 MS. ENGEMAN: Well, the city has
14 already discussed the possibility of putting some
15 type of operations system or center for the bus
16 system.

17 DON VOGT: To relocate our bus
18 system. Don Vogt, V-O-G-T.

19 MS. ENGEMAN: The type of use they
20 described to me would be wonderful for that
21 property. I don't envision that there would be any
22 problem with that whatsoever.

23 What will get to be a problem is
24 disturbing things underground. The surface is all
25 cleaned up. The surface has got clean soil on the

1 top, that part's not the problem. The city doesn't
2 want to go out there and pick water out of the
3 ground, so that's not going to be the problem so
4 that type of use is great.

5 I will say that the soil levels when it
6 was initially cleaned up were not necessarily
7 cleaned up to such a level that we would be
8 comfortable with a daycare center being put there or
9 an elementary school or somebody's house, but it
10 certainly is a suitable location for that type of
11 operation.

12 The public works garage that operated
13 there before or if a trucking company wanted to
14 operate out of there. They had a lumber company
15 operating out of there but looks to me like maybe
16 they're not there anymore. I know you had a lumber
17 company. Are they still using part of that?

18 DON VOGT: Yes.

19 MS. ENGEMAN: It wasn't obvious from
20 the outside.

21 There are a lot of operations that could
22 take place there. Properties like this may have
23 public parks, probably wouldn't be a problem there.

24 Any other questions?

25 Well, if not, I think we can call it an

1 evening. Thank you for coming, we do appreciate
2 that.

3 If you think of something later and you
4 want to call us, send us an e-mail, send us a
5 letter, please do so. Please do it by July the 26th
6 if you want it to be considered -- or 25th if you
7 want it to be considered as the comments on this
8 property.

9 MR. WASHBURN: Just one final thing,
10 the green card over there is for signing in only if
11 you want to be on the mailing list. If you guys are
12 already receiving mail -- but if you aren't
13 receiving mail about the site, please fill out a
14 card -- if you would like to, please fill out a
15 card, and we'll add you to the mailing list.

16 (7:53 p.m. - Adjournment.)

17 ** ** ** **

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

1
2
3 I, Megan McDermott, Certified Shorthand
4 Reporter in and for the State of Iowa, hereby
5 certify that the witness aforementioned was duly sworn
6 prior to the taking of the deposition; that this
7 deposition is a true record of the testimony given
8 by said witness; that I am not related by
9 consanguinity or affinity within the fourth degree
10 to any party, his attorney, or an employee of any of
11 them; that I am not financially interested in the
12 action; and that I am not the attorney or employee
13 of any party.

14 To all of which I have affixed my
15 signature this 12th day of July, 2013.

16
17 
18 _____
MEGAN MCDERMOTT, CSR

19
20
21
22
23
24
25